

BEFORE ST. LOUIS SITE REMEDIATION TASK FORCE

* * * * *

TRANSCRIPT OF PROCEEDINGS

* * * * *

TUESDAY MORNING, AUGUST 20, 1996

* * * * *

BE IT REMEMBERED, that on Tuesday, August 20, 1996, the herein described parties met at the Haselwood Civic Center, Hazelwood, Missouri, and the following proceedings were had, to-wit:

HALE REPORTING, INC.

No. 4 Godfrey
St. Louis, Missouri 63135
(314) 524-2055

I N D E X

	Page
Appearances.	03
Call to Order.	04
Approval of Minutes	04
Public Comment	04
Draft Report	12
Presentation Technologies Working Group.	45
Presentation Microwave Vitrification	56
Resolution by Ric Cavanagh	77
Old Business	120
New Business	121
Adjourn.	130

A P P E A R A N C E S:

James Dwyer, Facilitator

MEMBERS OF THE ST. LOUIS REMEDIATION TASK FORCE:

Sally Price, Chair

Anna Ginsburg, Vice-chair

David Adler (ex officio)

Tom Binz, Laclede Gas Company

William Brandes, St. Louis County HazMat Team

Ric Cavanagh, St. Louis County Department of Health

Peggy Hermes, Missouri Coalition for the Environment

George Eberle, Jr., Grace Hill Neighborhood Assoc.

Jack Frauenhoffer, Mallinckrodt Chemical Co.

James Grant, Mallinckrodt Chemical Co.

Leonard Griggs, Lambert International Airport

Tom Horgan, Congressman James Talent's Office

Donovan Larson, St. Louis County Water Co.

Nancy Lubiewski, member county commission

Tom Manning, City of Hazelwood

Bob Marchant, Metropolitan St. Louis Sewer District

Molly Bunton, for Larry Mooney,

Roger Pryor, Missouri Coalition for the Environment

Conn Roden, St. Louis County Health Department

Ray Rolen, Bridgeton City Council

Paula Livingston-Thomas, for John Ross

Elsa Steward, Missouri Dept. Of Natural Resources

Daniel R. Wall, EPA, Region 7

ALSO PRESENT: Robert Geller and Ron Kucera

1 TUESDAY MORNING, AUGUST 20, 1996

2 (In Conference Room:)

3 (CALL TO ORDER AT 7:45 A.M.)

4 (APPROVAL OF MINUTES FROM JULY 23, 1996, MEETING.)

5 THE FACILITATOR: For August 20th there are
6 two people who have signed up to speak today -- Sandy
7 Delcoure and Ed Marr. Is there anyone here who has a
8 desire to speak in the public comment portion of the
9 meeting? So we have Mr. Marr, Tracy Henke and Sandy
10 Delcoure. Why don't we take them in the order in
11 which they signed up.

12 PUBLIC COMMENT:

13 MS. DELCOURE: Good morning. My name is
14 Sandy Delcoure and I live on Coldwater Creek. I
15 adopted the creek under a program called Streams for
16 the Future, which is sponsored by the Missouri
17 Department of Conservation and the Conservation
18 Federation of Missouri. Over the years I have tried
19 to promote the awareness of Coldwater Creek, its
20 assets, its problems and its future.

21 Several years ago I worked for Old St.
22 Ferdinand Shrine in Old Town Florissant. The Shrine
23 is located between Coldwater Creek to its back and
24 Fountain Creek to its front. This location is the
25 site every May of Florissant Valley of Flowers

1 Celebration where thousands of area residents come to
2 participate in the community event. The area is also
3 used year-round for picnics and other activities.

4 A couple of weeks ago when I talked to the
5 caretaker of the Shrine, he informed me that the area
6 of the Shrine had totally flooded again after a heavy
7 rainstorm. He said the water overflow from the creek
8 had covered the whole site and was up to the school
9 stairs.

10 As development in this area continues at a
11 heavy pace, this flooding of creek will only get
12 worse. That is why it is so important for the
13 cleanup of the airport site to be completed. We must
14 ensure the health and safety of the residents in this
15 vicinity with the best possible cleanup of the SLAPS
16 and HISS on Coldwater Creek.

17 I am concerned about the disturbance of the
18 radioactive waste during the cleanup. I hope the
19 best possible methods are used to prevent air
20 contamination from dust and to prevent further water
21 contamination of the creek from when any digging
22 begins.

23 Florissant was first settled around 1820
24 when Old St. Ferdinand's Shrine was built on
25 Coldwater Creek. I am submitting two books to the

1 Task Force on the Shrine and story of Florissant.
2 With the cleanup of radioactive waste from our
3 community, you will be ensuring our future here in
4 this historic area for many years to come. Thank
5 you.

6 THE FACILITATOR: Thank you, Sandy. Mr.
7 Marr.

8 MR. MARR: Good morning. My name is Ed
9 Marr. I'm connected with several quack health groups
10 that are interested in water. I am up here this
11 morning with no handouts, just to simply say that I
12 made a mistake. In my last handout, I said there
13 were 2,000 St. Charles County residents that were fed
14 water by the oil field. Well, that's wrong. The
15 latest census figure is 158,000. So I would like to
16 apologize for that.

17 But I think it's more important to realize
18 that the Department of Energy found that there was
19 some problem with the quarry leakage and going to or
20 going past or going into the Missouri, or whatever it
21 was, they did something about it. Thank you.

22 THE FACILITATOR: Thank you, Ed. Ms.
23 Henke.

24 MS. HENKE: Hi. My name is Tracy Henke
25 from Senator Bond's office out of D.C. And I wanted

1 to (1) let you know what Senator Bond has done
2 regarding this. I don't know if any of you are aware
3 that Senator Bond is aware of this issue.

4 And one of the first things we did on the
5 energy and water appropriations bill, we contacted
6 Senator Domenici -- as well as the ranking member,
7 Senator Johnson -- who chairs the energy and water
8 appropriations bill for the Senate.

9 I actually want to read the letter that we
10 wrote to them to let them know of our
11 interest in this. And it starts out by saying:

12 "Dear Senator Domenici: It is a
13 little known fact that St. Louis City and
14 St. Louis County bear a substantial
15 radioactive waste burden from the Cold
16 War uranium refining operation in the 1940s
17 and 1950s and also from the Manhattan Project
18 uranium operations.

19 St. Louis is the location of this
20 country's first nuclear weapons site.
21 Unfortunately, the wastes are in the midst of
22 the St. Louis metropolitan area and are for
23 the most part uncontrolled. The waste
24 continues to be moved and spread and there
25 are now more than 100 properties contaminated

1 above the Department of Energy's cleanup
2 standards.

3 Except at one site, the owners of these
4 contaminated properties were not Atomic Energy
5 Commission or DOE contractors and did not cause
6 the contamination that exists on their
7 properties. The owners are innocent victims of
8 DOE negligence. For comparison purposes you
9 should know that in St. Louis there are more
10 off-site contaminated properties above DOE's
11 standards than at Rocky Flats, Idaho National
12 Engineering Laboratory, Los Alamos and Sandia
13 combined.

14 This is all clearly DOE's
15 responsibility. I would like to see some
16 positive steps taken in the fiscal year 1997
17 Energy and Water Appropriations bill to address
18 this problem. Specifically, I would like to
19 see St. Louis removed for the FUSRAP program
20 line item and established as its own separate
21 line item. In doing this, St. Louis' \$17
22 million existing currently within the FUSRAP
23 core budget should be transferred out of
24 FUSRAP and into the new St. Louis line item.
25 In addition, I would like to request an

1 increase of \$24 million dedicated to the
2 St. Louis cleanup for a total of \$41 million
3 in the St. Louis line item.

4 These two steps will allow the State of
5 Missouri and the citizens of St. Louis to move
6 forward with a cost-effective cleanup of the
7 St. Louis metropolitan area. I know the
8 funding constraints which face your
9 Subcommittee; however, I believe it is
10 imperative that a sufficient appropriation be
11 made to allow an economy of scale during this
12 cleanup period. DOE's activity to date in
13 facing up to its St. Louis responsibility has
14 been tardy and woefully inadequate at best.

15
16 Thank you for your consideration,
17 et cetera, et cetera ...

18 Now, that's the good news to a certain
19 extent. Senator Bond is committed to making certain
20 that we help and we facilitate what the Task Force
21 agrees needs to be done.

22 Unfortunately, working with the energy and
23 water appropriations bill we did not get the
24 additional funding, we did not get it removed out of
25 the FUSRAP program.

1 However, what we did get was the
2 following:

3 The committee realizes that St. Louis City
4 and St. Louis County bear a substantial radioactive
5 waste burden from the Cold War uranium refining
6 operations, et cetera et cetera. Pretty much
7 straight from the letter.

8 The committee directs the Department of
9 Energy to cooperate with the citizens of St. Louis
10 City and County in moving forward with a
11 cost-effective cleanup of these sites.

12 The Department is directed to report to the
13 committee on the proposed course of action the
14 Department is pursuing no later than 90 days after
15 enactment of this act.

16 I am here to (1) like I said, to let you
17 know that Senator Bond is very much aware of the
18 situation of the Task Force and we want to make
19 certain that we help in any way that we can. And
20 since I'm out of Washington and can't get back on a
21 regular basis, David O'Brien from the senator's St.
22 Louis office or somebody from the St. Louis office,
23 will be starting to attend on a regular basis. And
24 we hope to work with you in accomplishing the
25 objective of the Task Force and accomplishing

1 cost-effective cleanup of the area.

2 So if anybody has any questions throughout
3 that I might be able to answer, I will be happy to do
4 so.

5 THE FACILITATOR: Well, let's see. Are
6 there any questions at this point for Tracy? Yes,
7 Roger.

8 MR. PRYOR: Could we get a copy of the
9 letter?

10 MS. HENKE: I don't know if you have a copy
11 machine but you are welcome to copy both items.

12 THE FACILITATOR: We would like to do that
13 so that we may get them into the record. Thank you
14 very much.

15 MR. HORGAN: In following Ms. Henke, I just
16 wanted to let the Task Force know that Congressman
17 Talent last week sent a letter to Undersecretary
18 Thomas Grumbly in Washington, DOE, and he's asking
19 the DOE to prioritize and make the St. Louis SLAP
20 site the No. 1 priority and requested an overall
21 amount of approximately 40 million in their budget
22 for a full cleanup at the request of the Task Force.

23 He has also sent this letter, in addition
24 to the Task Force, on behalf of County Executive
25 Westfall and Mayor Freeman Bosley. The DOE would

1 have to prioritize this, I believe, and make this
2 happen. I do believe the window of opportunity in
3 terms of FY 97 in the House side has past, there were
4 some efforts but it was not -- it is unfortunate that
5 they were not able get that.

6 I just wanted to let you know that he sent
7 a letter requesting additional funding in response to
8 the resolution that the Task Force passed.

9 THE CHAIR: I also have a copy of that
10 letter if we could, again, have copies made.

11 THE FACILITATOR: So is there any followup
12 then to any of the public comment? All right.

13 DISCUSSION ON INITIAL DRAFT REPORT:

14 THE FACILITATOR: We move then to the heart
15 of today's agenda which is the discussion on the
16 initial draft report. Sally and I spoke at some
17 length last night and Anna and I had spoken late in
18 the afternoon yesterday and collectively I think
19 we've settled on an approach that I'd like to lay out
20 for you and see what your reaction is.

21 First of all, given the schedule that we
22 have adopted which if we go to the back end of it,
23 the final event is scheduled for September 24 when we
24 are to present in some way or another our final
25 report to the Department of Energy.

1 And we had scheduled our regularly
2 scheduled September meeting for the seventeenth and
3 it was thought at that point -- and still is thought
4 -- that we would be incorporating public comment
5 into whatever the final draft looks like at that
6 point.

7 So the theory is the Task Force would have
8 developed its report to the best of its ability, we
9 would put that out to the public. And depending on
10 what the public comment is, then on the seventeenth
11 of September those comments would be somehow
12 integrated into the final report.

13 In order to do that there has to be an
14 opportunity for the public to comment. We had been
15 talking about September 10, we're now thinking that
16 perhaps the twelfth of September would be better. In
17 part, because it would give us two extra days to be
18 ready for that meeting and it would give us two more
19 days to alert the public to that event and hopefully,
20 therefore, improve the attendance.

21 And there was a third factor that I've
22 forgotten now but the point is -- I know. There were
23 some people on the Task Force who were not going to
24 be able to be at the meeting on the tenth but who
25 could be there on the twelfth. So that is one new

1 notion that I would like you to consider and would
2 like to come to closure on that before we walk out of
3 here today.

4 The other new notion that evolved last
5 night was that in order to accomplish everything we
6 have to do in order to get a report out to the public
7 timely, and given the fact that you are looking at
8 revised draft for the first time this morning, it was
9 agreed last night that it would be a good idea for us
10 to meet again a week from today in this room,
11 assuming it's available.

12 Only three of us talked about this, we
13 haven't checked into the availability of the room,
14 but we felt it was essential to schedule another
15 meeting and to allow some time for the Task Force to
16 react to this draft and for comments to the draft to
17 be incorporated into a revised document that
18 presumably would be adopted by the Task Force next
19 Tuesday -- discussed and adopted. So that's the
20 other major concept.

21 In order to do that what we have to do is
22 decide how we're going to approach this document that
23 is before you. And the notion that I discussed with
24 the Chair and Vice-chair last night was simply that I
25 would ask that when you leave here today that you

1 take the document with you and address it as quickly
2 as possible, develop your questions or comments or
3 responses, whatever they may be, in the next
4 forty-eight hours, by the end of the day Thursday, so
5 that we would then have Friday, Saturday, Sunday and
6 Monday to incorporate those responses into what
7 hopefully will be the final version of this document.

8 If there aren't many, and we can get them
9 done in one day, then we can get that document out to
10 you so that you have a day or two to review it before
11 you come to the Tuesday meeting. If there are lots
12 of comments or people are slow getting them in, then
13 we will be in a situation similar to the one that
14 we're in today -- where you will have a document in
15 front of you for the first time Tuesday morning. We
16 would like to try and avoid that.

17 So any questions or reactions to anything
18 I've just said?

19 THE CHAIR: Before any questions, I would
20 just like to elaborate a little bit on what you
21 said. The reason for having a meeting next week may
22 not be clear.

23 I've always felt that they we should never
24 submit this report -- I don't know how we can submit the
25 report to the public without this Task Force sitting

1 down and all of us agreeing to the document that we
2 see before us.

3 Today the document we see before us is not
4 final. For it to go to the public from this point in
5 time, following some revisions over the next few
6 days, leaves me very uncomfortable. All of you might
7 feel that way, so I thought the only way to handle it
8 would be to try to get it as perfectly finished as we
9 can and sign off on it next week.

10 I know everyone is busy and I know this is
11 last minute but, you know, we are trying to stick to
12 our schedule of delivering the report on the
13 twenty-fourth of September. And we have to allow two
14 weeks prior to the public meeting for the document to
15 be given to the stakeholders and other members of the
16 public, so it forces us to mail the middle of next
17 week at the very latest. So maybe that helps clear
18 it up for all of you.

19 THE FACILITATOR: So is everybody
20 comfortable then with the notion of meeting again a
21 week from today and following the outline that I have
22 offered? No objections.

23 One thing I didn't say is that there are
24 also a couple loose ends that we need to pull
25 together just so that we've got everything buttoned

1 up at the time we have a final report and we would
2 intend to cover those next week as well.

3 One of them is on today's agenda, that's
4 the report of the Communications Working Group. If
5 we're going to meet next Tuesday it isn't essential
6 that we deal with that today. We can deal with it I
7 think more effectively next week and thereby have
8 more time for discussion today on whatever seems to
9 interest us most.

10 MR. LARSON: Jim, quick question. Are you
11 just saying now then that we will not discuss this
12 report any further until next week?

13 THE FACILITATOR: No. No, I'm not saying
14 that.

15 MR. LARSON: Okay.

16 THE FACILITATOR: All I'm saying, unless
17 somebody disagrees, we won't deal with the
18 Communications Working Group aspect of it today which
19 mainly has to do with the distribution of the report.

20 MR. LARSON: I think it would be valuable
21 to at least spend a few minutes just kind of walking
22 through the document since you were one of the major
23 authors.

24 THE FACILITATOR: We're on our way to that
25 right now.

1 MR. LARSON: Okay.

2 THE FACILITATOR: What Sally has asked me
3 to do, and I agreed it's the right approach, is to
4 give you a brief summary of how we got to this point,
5 what has gone on since we all met a month ago and
6 what you have in front of you.

7 You will recall that when we met last month
8 it was my obligation to get to you by the end of July
9 an initial draft of a report for you to do with as
10 you please. I wound up getting that out on August
11 2.

12 And the request was that you feed your
13 responses back as quickly as possible and at that
14 point I think it was a little unclear, I think we
15 were just planning to come back together today to
16 sort our respective thoughts about that initial
17 draft.

18 It became apparent to me shortly after the
19 July meeting that we would be far better off if we
20 had a revised document by now so that we had
21 incorporated everybody's comments.

22 Two things happened then. There was a
23 group of people, perhaps a dozen, who responded in
24 various ways. Some of you did it on the telephone,
25 some of you did it by calling and then following up

1 in writing, but in one way or another you
2 communicated thoughts to me that wound being
3 integrated into a revised version of my initial
4 draft.

5 I'm going to circulate all of this in a
6 minute, so that you will all have a complete
7 package.

8 In addition to your comments that were
9 incorporated into the draft -- and they're in italics
10 here and there are arrows pointing to them, they
11 ought to be easy to pull out. In addition to that
12 we're are going to distribute a packet of written
13 documents that came from a wide variety of sources
14 which also have influenced the revised document.

15 This package was just produced early this
16 morning. It includes a half a dozen or more
17 documents. I think it is important that you read
18 those and see what people had on their minds and then
19 compare those documents with the updated draft to
20 ensure that everyone's interests have been covered
21 adequately.

22 While that was going on there was a group
23 of major stakeholders from around this table who put
24 their heads together to develop a collective response
25 to the initial draft. This past weekend I worked

1 with the people who are responsible for collecting
2 those thoughts. And when I say major stakeholders
3 I'm talking about the County, the City, the State,
4 the Chair and Mallinckrodt. I think those are the
5 five major sources of input into that effort.

6 THE CHAIR: And George Eberle.

7 THE FACILITATOR: And George Eberle. So
8 there were six sources of information that were
9 pulled together into a draft document and over this
10 past weekend the two drafts were integrated and
11 that's what you have in front you.

12 This should not be considered a final
13 document yet. To my knowledge nobody except the
14 author of it, or the person who is responsible for
15 pulling it all together and getting it printed has
16 seen it, so it's subject to review by everyone.

17 It is entirely possible that some things
18 that are important to people somehow didn't get in
19 here, we may have missed something. There may be
20 some things that we didn't miss but didn't treat
21 adequately or to your satisfaction.

22 All of that is open to review and
23 discussion and therefore it's of critical importance
24 that you deal with this document as quickly as you
25 can, make sure it does what you want it to do, and

1 react in whatever way seems approximate as quickly as
2 possible.

3 That I think brings you how we got to where
4 we are today. Ric Cavanagh I think is going to walk
5 us through the document.

6 MR. CAVANAGH: I, at least, want to make
7 some introductory comments. As Jim has been
8 stressing this is a not a final draft. In fact, as
9 you tell just from the layout I tried to save some
10 trees last night in the copying so we didn't do
11 two-sided. Obviously, the layout will be a little
12 bit better from that perspective.

13 But just a couple of points I'd like to
14 make and then however we chose to walk through it.
15 But I did want a stress again that both the city and
16 the county participated in the drafting of this and
17 strongly support, you know, this approach.

18 I want to thank Jim, it was very helpful
19 for all of us. In many cases when you get to this
20 type of a report, it's kind of a situation that you
21 don't know what you want until you don't necessarily
22 get it and then you say, well, we could do this and
23 that and so forth, so it gave us a starting point.

24 The sense of the group that did work on
25 this was that we needed a document that was (1)

1 perhaps more persuasive, if you will. Since we're
2 going to be dealing in the political arena, we need
3 something that speaks to the points rather quickly
4 since many of the people who might be reading this
5 document may be rather busy and we need to get to the
6 point, have an executive summary that is strong,
7 makes the case, and gets out and then supports it
8 with appendices and so forth.

9 So we've tried to develop a document like
10 that. We were also mindful to articulate as many
11 justifications as possible for our particular needs
12 so hopefully this gets somewhat reflected in this
13 document.

14 There are a couple missing pieces even
15 within this. It's bound only because it was easier
16 than trying to find seventy-five clips to hold it
17 together and have paper all over the floor. Somehow
18 when you bind something it gives it a sense of being
19 final, but it very much is a draft. But there are a
20 few appendices and so forth that may still need to be
21 added and we recognize that. Jim I know has some
22 other comments and summaries from working groups that
23 may need to be included.

24 So again, strongest point I want to make is
25 that a lot of folks have really done a lot of talking

1 over the last several weeks and a lot of work has
2 gone into this. If you love it, I'll take credit for
3 it, but I did not personally draft every word on it.
4 But I think it's a good starting point, and I would
5 hope as we work through it, talk through it, get
6 input at this meeting, we can build that into some
7 form of a final draft.

8 THE FACILITATOR: Within one week's time,
9 that's the key.

10 MR. CAVANAGH: A piece of cake.

11 THE FACILITATOR: What I didn't say, and
12 I've just been operating on this assumption for the
13 last few weeks, but I think it's important that you
14 all understand it.

15 There was a very strong emphasis from a
16 number of sources immediately following the July Task
17 Force meeting that we adhere to our schedule for a
18 variety of reasons but that we really not allow the
19 schedule to slip. And that's why the pressure is so
20 intense right now.

21 We're trying to integrate two years worth
22 of work into a cohesive document that tells a story,
23 tells it effectively, and does it on schedule. And
24 that's why we're asking you to react in forty-eight
25 hours and that's why we're asking you to come

1 together again next week.

2 MR. CAVANAGH: If I could just add, I think
3 we have a tremendous opportunity here. We really do
4 have bipartisan support on this, people are not
5 knocking heads, rather we are very much in agreement
6 that this is the direction we need to be moving in
7 and, you know, now is the time to do it.

8 So, Sally, I don't know how you wish to
9 proceed.

10 THE CHAIR: Well, obviously I haven't read
11 the new version. Peggy, did you have a question?

12 MS. HERMES: Yes, a quick question. I
13 certainly don't want to suggest that these meetings
14 go on any longer than they have to but if Fiscal Year
15 97 is no longer a question, is the schedule as
16 crucial as it was two weeks ago?

17 THE FACILITATOR: Who would like to
18 respond?

19 MS. GINSBURG: My understanding is that
20 Fiscal Year 97 is not a done deal, that there will be
21 a conference committee looking at the energy and
22 water budget, and maybe Tracy has more information
23 about this, but that there is still room for some
24 change.

25 MS. HERMES: Yes. Fiscal Year 1997

1 appropriations bill do not go into effect until
2 October. And then once it goes to the president to
3 sign, they don't go into effect until October.

4 Energy and water appropriations conference
5 will probably occur relatively fast, sometime around
6 the beginning of September and it will probably be
7 sent to the president sometime probably in the first
8 two weeks. But Senator Bond probably would encourage
9 you to stick to the deadline because that also will
10 add credence to the DOE responding in the time frame
11 that we have set in the bill.

12 THE CHAIR: Yes, I think we still need to
13 stay on the schedule we have.

14 MS. HERMES: And I could be wrong but my
15 understanding is that decisions have not been made in
16 the House, it sounds like they have been in the
17 Senate.

18 MS. HERMES: The House has already passed
19 the energy and water bill as well. But the two
20 bills, energy and water, operate very differently
21 this year. Normally the House passes the bill and
22 sends it to the Senate and we take up the House bill
23 and change it. This year each house passed its own
24 pretty much simultaneously and so the conference
25 could be a little different. I haven't spent a whole

1 lot of time looking at the House bill to see how much
2 different it is.

3 THE CHAIR: Okay. Any other questions? At
4 this point I guess we are wanting to be walked
5 through this report and I glanced at it and I
6 recognize much of it but I still feel like I haven't
7 read what is in front me and I don't know that anyone
8 can speak to it definitively but I can say the first
9 twelve pages is more or less an executive-type
10 summary review.

11 The first page is specifically the
12 executive summary and then there's an introduction
13 and the following ten pages are a more upfront,
14 straightforward statement about our problem and how
15 we wish to see it resolved. And I feel it's pretty
16 self-explanatory. It talks about the Task Force
17 process. Page 9 gets into factors affecting the
18 recommendations. Page 11 is the conclusion and
19 recommendations. The appendices are in the back and
20 the site history from MDNR.

21 How this differs is just that its more
22 concisely and more strongly speaks to our problem and
23 the language is just more powerful. But it also
24 gives a little more of a bulleted item-by-item reason
25 for our views and our conclusions, which I think was

1 not too clear in the first draft. So it's pretty
2 easy. And if anyone has any suggestions --

3 MR. CAVANAGH: I think in particular page 9
4 section 4, the factors affecting the recommendations,
5 again a series of bullet point but trying to make the
6 case, but I would urge everybody to pay attention to
7 that to see if that does accurately reflect the Task
8 Force's position. And then the following pages
9 likewise with our conclusions, just trying to be as
10 concise as possible. And again, the appendices will
11 support a lot of what's being stated but typically I
12 believe a document like this is again one that
13 someone will scan more than perhaps read every last
14 word in detail and that's why we've opted to have
15 some pictures, charts, graphs -- you know, the visual
16 as well as the narrative.

17 THE FACILITATOR: There is a question that
18 has been going around the room since the first people
19 arrived this morning and that is what is the
20 appropriate distribution of this document at this
21 point. There are a number of people who are not at
22 the table but who are interested in one way or
23 another in this report who have requested that they
24 be given copies of it and I have asked them to wait
25 until the process determines today what the

1 distribution ought to be. I think perhaps that
2 questions needs to be answered.

3 Does anyone have a sense? I mean the two
4 choices are that this is a draft document that the
5 Task Force hasn't looked at yet so it really doesn't
6 represent anyone's conclusions necessarily. On the
7 other hand, it certainly is the product of a lot of
8 hard work and it does represent the sense of
9 direction that has been established.

10 MR. LARSON: Well, I would comment that
11 since the public is going to be asked to respond to a
12 final document in the public hearing and we would not
13 want the public to have two documents and try to
14 understand which is the one to take seriously.

15 I would say we should limit distribution of
16 it. Although, you know, if there's some obvious need
17 to see the thing certainly it shouldn't be kept
18 secret either. I would say distribute it on an
19 as-needed basis beyond the group but make it clearly
20 marked subject to change.

21 And I have two comments about the document
22 itself. As long as I have the floor, may I just
23 continue. In a quick review of it, I notice two
24 things. I notice that there is a not a lot of
25 description of the Task Force efforts.

1 Now, you know, it's not a concern about
2 self-aggrandizement that causes me to comment but
3 after all there was a lot work that some people in
4 this group did that ought to have some effect on
5 validity of the public input and the public reaching
6 conclusions in this whole process. And in glancing
7 through it, I don't see much comment on, you know,
8 some of the efforts that were made, some of the
9 smaller groups, work that they did and the goals that
10 they reached.

11 Now, true some of those goals were a little
12 mushy, you might say, but that is to say their
13 conclusions were not rock-solid, nuts-and-bolts type
14 of conclusions sometimes. But on the other hand we,
15 for example, reached some pretty serious conclusions
16 about the way we understood these properties to look
17 upon completion of the remediation work. And so I
18 ask about that because certainly the authors could
19 share their thoughts about that.

20 The other thing, there is not much that I
21 was able to see here with regard to -- I'm sorry,
22 there's no comment that I can see here with regard to
23 that expert panel that we put together. Perhaps it's
24 listed here and I don't know see it.

25 So, if you could comment on those two

1 things.

2 THE FACILITATOR: Anna?

3 MS. GINSBURG: I want to speak to the
4 distribution issue. As a public body I don't see how
5 we can limit distribution of this report. I think
6 which need to make it real clear that this is a draft
7 and that it's a work in progress and that things may
8 change in the final version. But I have a real
9 problem with limited distribution.

10 THE FACILITATOR: Well, that obviously is
11 the issue. And, of course, this is a community issue
12 and we've been approaching this from a
13 community-based point of view and there are clearly
14 lots of people with legitimate interests in knowing
15 where the Task Force thinks it stands after almost
16 two years of work.

17 MR. GRIGGS: It ought to be exactly like an
18 environmental impact statement. A draft can be
19 placed in libraries where people can look at it.

20 THE FACILITATOR: Well this document, this
21 bound document has the word "draft" once that I see,
22 twice, on the inside of the front cover. The pages
23 themselves are not marked as drafts, but certainly
24 the record is clear as of this point. I mean, we've
25 said it now three or four times -- it is a draft.

1 MS. LUBIEWSKI: This is a draft that was
2 put together by the city and county?

3 THE FACILITATOR: No, it is a compilation
4 of three things -- the draft that I prepared a couple
5 of weeks ago, the comments that I received from a
6 number people, including you, whether in writing or
7 orally, are integrated in here and the third
8 component is work that was done by this group that I
9 described earlier. And all of that presumably, if we
10 did our job well, all of that was integrated into a
11 single document over the weekend.

12 MS. LUBIEWSKI: But this was not what we
13 had planned on doing at the last meeting, you were
14 not going to call those people together to work on
15 this so this is not really from the Task Force.

16 THE FACILITATOR: Well, no.

17 MS. LUBIEWSKI: Therefore if we give this
18 out as a Task Force draft document, we are
19 misleading.

20 THE FACILITATOR: There are some subtle
21 points in there.

22 MS. LUBIEWSKI: I don't want it to go out
23 until we get to look at ourselves before we say that
24 this come from me. It doesn't come from me, not all
25 of it.

1 THE FACILITATOR: Well, you're not even in
2 a position to know whether it came from you because
3 you haven't had a chance to look at it.

4 MS. LUBIEWSKI: Right. Well, the meeting
5 that was had I didn't even have an opportunity to
6 attend.

7 THE FACILITATOR: Right. Let me address
8 that meeting for moment. There was a suggestion made
9 at the July Task Force meeting and I think it had
10 come up perhaps in the June meeting as well that once
11 the initial draft was generated maybe it would make
12 sense for there to be a working group of whomever,
13 whoever was interested from the Task Force, get
14 together and refine that initial document.

15 MS. LUBIEWSKI: But that was a maybe.

16 THE FACILITATOR: That's right. I did
17 allude to it in the cover memo that went out with the
18 first draft. I said that it had been suggested that
19 this might be a good idea, let's reserve judgment on
20 it until after you've taken a look.

21 And it turned out that there was a group of
22 people who wanted to proceed in that way. It was
23 very short notice about that. The decision was made
24 one day and the meeting was the next day and we got
25 notices out as fast we could.

1 MS. LUBIEWSKI: I don't have a problem with
2 the way it was done. I have a problem with -- if we
3 give this out as a draft document from the Task
4 Force, I have a problem with that.

5 THE FACILITATOR: Okay. Well, you should
6 know that the media are represented today and so
7 let's say it clearly once again for everyone's
8 benefit in the room, this is a draft document which
9 is subject to modification between now and a week
10 from today. And if we stick to our schedule and do
11 everything well, one week from today we will have a
12 document that we expect to be able to sign off on and
13 that we hopefully will have a broad consensus support
14 for it. We're not there yet.

15 MR. PRYOR: Well, a number of things.
16 Starting with Nancy's comment. You know, not having
17 read this obviously but based on how you described
18 this was put together it seems that this may be more
19 of draft of the Task Force than the original one was,
20 which was your draft. I mean, Nancy is asking which
21 draft has more validity and I don't know if either
22 one has any claim to that, but more hands have gone
23 into this one.

24 THE FACILITATOR: Well, I would say that
25 almost all hands have gone into the production of

1 this document.

2 MR. PRYOR: Right.

3 THE FACILITATOR: And without having read
4 it, so I'm taking a flyer here, I would have to say
5 -- my expectation is that this is a much richer
6 document. There could still be debates about the
7 sequence of presentation, the order of presentation.
8 There might be all sorts refinements that we will
9 find and adopt. But I think it is a far advanced
10 version of what you saw on August 2nd.

11 MR. PRYOR: Well, let me speak to the issue
12 then about distribution because -- and you may be
13 surprised to hear what I say on this because I may
14 come down on the side different than what you might
15 expect. But I consider this to be a draft for our
16 use, that we want to make sure clearly represents
17 what we think so that we get it out to the public,
18 and they review it, that they're going to be
19 reviewing what we've all agreed represents what we as
20 a Task Force think.

21 When a draft EIS is put out to the public.
22 This is not non EIS, first of all, but when a draft
23 EIS is put out that is put out as a document of an
24 agency representing that agency's thinking and
25 processes as to how they reached their decisions and

1 put before the public as a full-disclosure document
2 for the public to look at. We're not at that stage
3 yet.

4 I don't think there's anything in secret in
5 here. I think probably the worse that could out with
6 people looking at this thing would be they'd say my
7 god, they have not organized themselves very well
8 yet, it's not a complete document, the typing doesn't
9 match, the word illustrations -- you know, all that
10 sort of stuff. It's not a very attractive piece of
11 work at this point.

12 I would feel more comfortable if we
13 distributed it to people if it had clearly stamped
14 every page like some documents do -- Draft, Working
15 Document. I worry about the fact that that only
16 appears in one place. It would be very easy for some
17 to get this and excerpt part of it and say this is
18 the final thing.

19 On the other hand, I have no problem if
20 people are here at this meeting today would like to
21 look at one while we're talking about it, but I guess
22 maybe the one possibility then would be to collect
23 them at the end meeting.

24 I think the danger would be -- I'd hate to
25 see it just fall in someone's hands who hasn't sat

1 here and listened to us say this is a draft, this is
2 a draft, this is a draft and look at that and draw
3 undue conclusion from it without the benefit of
4 hearing what we're saying. But I have no problem
5 sharing this the folks who are here today so they can
6 at least read along and try to figure out what we're
7 trying to do.

8 THE FACILITATOR: Well, you're echoing
9 Nancy's conclusion then.

10 MR. PRYOR: Yeah.

11 MR. FRAUENHOFFER: I guess it was a
12 followup to what Donovan had asked before. I notice
13 in the appendices that it shows the sections "E"
14 through "I" and they're not in this particular
15 report. Was it the intent to add those later?

16 MR. CAVANAGH: Right. As I indicated there
17 are some things that are not available at this point
18 but, yes, they would be added.

19 MR. FRAUENHOFFER: Was it the intent to add
20 those as they were in the original report then?

21 THE FACILITATOR: You're ahead of me, but
22 it was my impression that they were going to be
23 incorporated into this document that you have in
24 front of you.

25 MR. FRAUENHOFFER: As they were in the

1 original?

2 THE FACILITATOR: Well no. Well they were
3 modified in two ways. They were modified by input
4 from all sorts of people and then they were modified
5 again in a long meeting that occurred this past
6 Sunday but they were left on the table along with all
7 other documents. It was my impression that they were
8 going to be in this bound document so that what you
9 would be looking today had all the appendices.

10 MR. FRAUENHOFFER: Okay, that's my point.
11 We don't have them and we don't have an idea of what
12 their content is at this point.

13 THE FACILITATOR: I did not know that until
14 you pointed it out. These documents were printed
15 late -- they arrived here at seven o'clock this
16 morning, that's the first anybody has seen them, so
17 there was no opportunity to check.

18 MR. PRYOR: This addresses, I think,
19 Donovan's concern about showing the scope of whatever
20 it is we've been doing that's gone in to this. I'll
21 just throw this out, would it be feasible as one on
22 the appendices to include the minutes of the
23 meetings. We've published rather extensive minutes
24 that reflect, for the most part, very accurately the
25 discussions and everything that's gone on, who was

1 there, what was said, what was concluded and I can't
2 imagine anybody in their right mind who wasn't there
3 wanting to read those but I think they would
4 certainly present a prima facia case just by bulk
5 alone that a lot of work went into this and it would
6 be a good record to have -- made a permanent part of
7 this.

8 THE FACILITATOR: That was the whole point
9 behind -- well, not the whole point but it was a
10 large part of what was behind the initial draft that
11 I prepared -- the summaries of all of those working
12 groups, an explanation of who participated, what the
13 mission was, what the process was and what the
14 recommendations to the Task Force were. It all
15 exists.

16 To reproduce the minutes is -- it's just a
17 practical question. I have thirteen, four-inch
18 three-ring binders with documents that I've
19 accumulated over the last two years. I don't think
20 we want to do that. And if we narrowed it down to --
21 even if it were just the Task Force minutes, then we
22 have twenty-two of those. We could certainly do that
23 if you think there's value in it. Or we could simply
24 refer to them and anybody who was really interested
25 would be directed to several places where they could

1 be found.

2 MR. PRYOR: Do we have highlights like this
3 of most of the meetings?

4 THE FACILITATOR: No. We do have
5 highlights that were developed for a different
6 reason. They were to keep the public generally aware
7 of what was going on. They were not comprehensive.
8 They have been expanded a little in the last two
9 months.

10 MR. PRYOR: Maybe it is a problem of volume
11 but it seems to me there's some way of -- it may take
12 some work, and I hate to suggest it, but someone
13 going in and maybe summarizing each meeting somehow
14 on a page, something to reflect a history of what
15 happened.

16 Again, I'm just speaking to Donovan's
17 concern and I think it's a legitimate concern. You
18 know, one of the things we were worried about in this
19 whole thing was that recommendations once we've
20 reached them would be the result of a deliberative
21 process that would give the recommendation some
22 weight.

23 THE FACILITATOR: Well, I couldn't agree
24 with you more about that point, that the process is
25 as an important a part of this as the conclusions.

1 MS. GINSBURG: What about putting a page in
2 the final document that says that the meeting minutes
3 are available upon request?

4 THE FACILITATOR: I'm perfectly comfortable
5 with that. I think, though, it goes back to Jack's
6 observation about what are these appendices and how
7 much do they say and do they do the job adequately
8 for purposes of the report. And you have those. I
9 mean, each of you was given an initial draft and each
10 of you has now been given excerpts from that draft
11 with italicized changes.

12 So you have the tools to make a judgment
13 about whether you think those documents are
14 adequate. It's too bad they're not in this bound
15 volume but nevertheless they do exist and they're in
16 your possession. Any other comments?

17 MR. CAVANAGH: I think it's important for
18 us to keep a focus on what we are trying to
19 accomplish with this report. I appreciate what
20 you're saying, Roger, but trying to compile and go
21 through documentation of all that went on is probably
22 only two hours shy of the history of the world. You
23 know, it really is a very, very lengthy task if we
24 were to do that.

25 And again, I think we're searching for a

1 legal opinion. And I'm not a lawyer but having
2 worked now in the public sector a long time, I would
3 agree with Anna -- we are a public forum. And to be
4 very honest, from experience, if we don't hand out
5 the documents, people are going to get them anyway,
6 -- why worry about it. But I do believe that, you
7 know, we stress the draft nature of this is very
8 important.

9 But most importantly, my point is we are
10 trying to, you know, have a summary report of our
11 findings and recommendations and I think that should
12 be the criteria that we use to evaluate a document
13 rather than, you know, trying to cover every last
14 possible base.

15 THE FACILITATOR: Let's see if we can come
16 to closer (on what we want to do right now. If we
17 want to reserve judgment on it, that's closer for
18 moment as far as I'm concerned.

19 MR. LARSON: A half an hour ago I mentioned
20 two points -- one is that this doesn't right now
21 reflect in any way a lot of the work that we did in
22 the small groups. And just putting it in an appendix
23 won't quite draw the spotlight to what I think is a
24 substantial or significant part of the whole effort
25 of this FUSRAP group over the last two years.

1 I not suggesting that I know the right way
2 to do it, but one way or another I would like to see
3 something included that illustrates the level of work
4 we did and pretty much the general thrust of what the
5 more active subgroups did, which may be would be
6 enough to satisfy Roger's concerns -- maybe not --
7 but certainly would be enough to make me feel more
8 comfortable that this not only reflects a history
9 from the time old Mr. Einstein wrote the letter to
10 the time this became a community concern but that it
11 also reflects what has happened in the last two
12 years.

13 THE FACILITATOR: Is there any disagreement
14 on that point? Okay. Then that was really what was
15 intended, or I thought was for today's purposes. It
16 certainly still is my intention. We will integrate
17 that information. We will make sure that it is
18 sufficiently prominent in position and always to
19 articulate effectively what went on here for two
20 years and how we got to the conclusions.

21 THE CHAIR: Okay. You're talking about
22 basically your report, what you wrote about the
23 working groups would be incorporated as an appendix,
24 is that what you're saying?

25 THE FACILITATOR: Well, the question of

1 whether it's an appendix is the issue that Donovan
2 just raised, where it fits into the document --

3 THE CHAIR: Right.

4 THE FACILITATOR: -- but the content, or
5 the document itself is exactly that as modified by
6 the comments that people have fed in.

7 THE CHAIR: Okay.

8 THE FACILITATOR: And still subject to
9 modification between now and next week.

10 THE CHAIR: Okay. As far as the
11 distribution issue I feel like we should distribute
12 but I agree with Roger, and I know it will be time
13 consuming, but I think we need to stamp every single
14 page for whoever wants a copy and let them have it.
15 And that that would be something that couldn't be
16 copied without, you know, the draft copy being
17 prominent on the page.

18 Although it says on the inside cover please
19 do not cite or quote, that's just one page and I am
20 concerned about the same things -- I am comfortable
21 with this document pretty much. You know, I know
22 what is it. But for those who weren't part of the
23 group that helped to rework this, I am sensitive to
24 how they feel, but as Anna said, it's a public
25 document.

1 For those of you who aren't comfortable
2 with it going out, would it be more comfortable for
3 you if you knew that each page would have draft
4 stamped on it?

5 THE FACILITATOR: I see a lot of yeses.
6 Does that work for everybody? Okay. I don't know
7 how we'll get that done, but we'll --

8 THE CHAIR: We'll get it done.

9 THE FACILITATOR: I'm asking then everybody
10 around the table, I don't know who already has a
11 copy, I suspect that some of you do. You've heard
12 what Sally has just said. We would like, therefore,
13 to mark each of the documents "Draft" before anything
14 leaves this room other than in the hands of Task
15 Force participants. So we would appreciate your
16 cooperation on that front, any of you who are
17 interested in walking out of here with the document.

18 Okay. Let's move on. Anything more to be
19 said at this point about the draft report and how
20 we're going to get to a final one? Let's move on.
21 As I've already suggested, unless there is objection
22 we will deal with the Communications Working Group
23 issues next week and we'll move to the Technologies
24 Working Group. Jim Grant is going to present a draft
25 report and we're going to distribute printed copies

1 of it.

2 TECHNOLOGIES WORKING GROUP DRAFT REPORT:

3 MR. GRANT: Can everybody hear me okay?

4 If I drop off, let me know and I'll get the mike.

5 As far as the Technologies Working Group
6 has sort of set the stage, obviously the key
7 technology that was being looked at was dig soil up
8 and send it some place. And the key goal or purpose
9 of this group was to take a look at alternative
10 technologies, i.e., treatment do see if there was
11 anything that could be effective that we would
12 recommend to the DOE to carry forward on.

13 And as I go through some comments, you'll
14 see here that tends to focus on -- if you're going to
15 obviously reduce cost was a concept, you're going to
16 reduce volume to do that, to try to reduce cost. So
17 that's how we got into this. So we're assuming the
18 basis of the hog and haul type systems.

19 What I have here are slides which cover the
20 document that you are receiving. I'm just make some
21 points about it. There's a lot attachments to that
22 document, but basically we tried to go through a
23 review process where we identified technologies and
24 we relied a lot on previous work the DOE had done or
25 SAIC had done, but also on input from members of the

1 working group.

2 We tried to evaluate or look at those
3 technologies in terms of focusing on those that would
4 be most useful, particularly, in terms of cost
5 savings, and this got down to some type of soil
6 washing technique or vitrification technique. And we
7 looked at for initial screening, we tried to look at
8 effectiveness, implement stability and cost as some
9 of the key criteria overall.

10 And, as I said, we look really soil washing
11 and ex-situ vitrification. There's some key points I
12 want to make here. When we started out the SAIC had
13 already done work on soil washing and a number of us
14 had an opportunity to visit their laboratory at
15 Clemson, get the study and work they had done.

16 But it became clear that -- all the work
17 had been done in soils taken from the airport site,
18 SLAPS. It also became clear that it really wasn't
19 economically feasible to do either chemical or
20 physical soil washing on soils from SLAPS. But there
21 was a possibility that something could be done for
22 soils at the downtown site because the soil
23 conditions were different.

24 So one of thoughts we had was we at least
25 ought to do some preliminary work on the physical

1 soil washing for soils at the downtown site at least
2 to clarify whether we ought to go ahead with that.
3 Some type of particle size analysis or take a look at
4 the heterogeneity of the soils down there to see if
5 they sort of fit together and see if some further
6 bench test or work should be done.

7 As far as the ex-situ microwave
8 vitrification, we got data from vendors and
9 consultants working in this area and took that and
10 put together cost estimates to see if there were any
11 key cost savings. Unfortunately, we did not see
12 significant cost savings but the costs were somewhat
13 close between digging and hauling and vitrification
14 and has been pointed out there are some other
15 benefits like stabilization and volume reduction that
16 are a benefit this technology overall.

17 So coming out of the task group, we had a
18 number of recommendations. The first one here was
19 really to go ahead and recommend to the DOE that we
20 want to continue to take a look at ex-situ microwave
21 vitrification and the physical soil washing at least
22 for the downtown site were one focus of that. So we
23 want to go ahead and take a closer look at these and
24 perhaps if possibly move ahead with them.

25 Also, on the overall evaluation there were

1 a couple of analytical technologies, field
2 technologies, that were brought forth that could
3 serve to reduce characterization cost in the field,
4 laser ablation and nebulization spectroscopy and then
5 mobile gamma ray spectroscopy. So we're recommending
6 that these things be evaluated and be used in the
7 further work at the sites.

8 And then during the course of our
9 discussion, we developed some criteria that we
10 thought would be useful in evaluating future
11 technologies. As time goes on, other technologies
12 may become further developed. It may be possible in
13 the future that they would have a place to be used in
14 the St. Louis sites so we developed some criteria
15 that we thought would be useful in evaluating these
16 criteria for their selection. And although cost was
17 an issue that we focused on, there are other criteria
18 like stability final waste form, these type of things
19 which would be important in evaluating the
20 technology.

21 So those are the key outcomes I think of
22 the work group's report. Attach to the report are a
23 number of things, cost estimate and other things. We
24 talked about some other documents to support this.

25 Now, at the last task force meeting I-

1 mentioned some of the recommendations. The ones I
2 stated were altered somewhat. I got comments back
3 from the Technologies Working Group members and I
4 tried to incorporate their comments into this
5 report. Unfortunately because of the time frame, we
6 didn't have a chance to get together and sit down and
7 maybe haggle through some of the language, so if
8 there are any other of the work group members here
9 that would like to make some comments about what I've
10 presented today in this report, if they have some
11 things they would like to add to it or whatever, I
12 really ask that they take this opportunity to do so.

13 THE FACILITATOR: Okay. Are there any
14 comments from any member of the Technologies Working
15 Group about this draft report?

16 MR. LARSON: Two quick questions, Jim.
17 Could you just give us a feel for, number one, in the
18 case of soil separation technology what's the
19 ultimate goal. And the reason I ask is that I'm not
20 sure if the significance of it is that, you know,
21 larger soil particles are the ones that have
22 radioactive characteristics adherent to it or if the
23 smaller ones are -- what is the connection between
24 next size differentiation in concentrating the
25 radioactive waste?

1 MR. GRANT: Well, I think one of the
2 concerns that was expressed by people in group --
3 there were two ways of doing soil washing, okay. One
4 is the physical and one is the chemical. There were
5 a lot of concerns about the chemical technology
6 particularly in terms of the use of chelating
7 agents. So I think we pushed that aside and said
8 we're not going to recommend the use of that and the
9 costs don't bear it out either.

10 On the other hand the physical soil washing
11 would be along the lines you're saying, the idea
12 would be that the radioactive materials would be
13 concentrated in certain particles would be there as
14 particles and they would be denser than other soil
15 particles and therefore you would be able to make
16 some type of gravity separation.

17 MR. LARSON: And in that technology, the
18 volume reduction you're looking at is something of
19 the order 10-20 percent or 80-90 percent?

20 MR. GRANT: Well, I think you'd have to be
21 looking more for an 80-90 percent reduction, a
22 significant reduction.

23 MR. LARSON: Okay.

24 MR. GRANT: Obviously it costs money to
25 develop the technology, to buy the equipment and

1 operate it and so you've got to be looking for a
2 fairly significant reduction in volume before you can
3 get a return --

4 MR. LARSON: Right. I just wanted to
5 clarify those points.

6 MR. GRANT: So you need a significant
7 reduction in volume.

8 MR. LARSON: Okay. The other question is,
9 just a real dumb question, in the ex-situ microwave
10 vitrification you would be -- well, my concept is a
11 matrix of materials that are interlocked to each
12 other so that there's no migration of the materials
13 in later storage situations. Is that the
14 significance of that technology?

15 MR. GRANT: Well no, there's a couple of
16 things. One is there is a very volume reduction,
17 okay, and it's been stated that volume reduction
18 could be as much as 50 percent. So that's a
19 significant reduction. We don't have a lot data
20 supporting that, but if you could achieve that
21 reduction, that a significant volume reduction, and
22 what you get then is a reduction in transportation
23 and disposal costs, okay. But you do have the tight
24 matrix you're talking about. You're basically fusing
25 all the materials together. I think that you're

1 basically fritting glass is what you're doing.

2 MR. LARSON: Right.

3 MR. GRANT: So it's very tight and so
4 you're significantly reducing the solubility or
5 potential for release of radioactive material so that
6 is a benefit for going through the vitrification.

7 MR. LARSON: Okay, thank you.

8 THE FACILITATOR: Any other questions?

9 MR. CAVANAGH: This is extremely basic,
10 you've helped a little bit, but for those of us who
11 really don't understand the technology, can you
12 explain what it means to do soil washing? I mean
13 from the point you're looking at the soil to --

14 MR. GRANT: Well, it perhaps could be done
15 equipment-wise in different ways. But it could be as
16 simple as taking the soil material you're working
17 with, slurring it up and then allowing in some manner
18 the particles -- certain heavier particles would
19 separate, settle out faster, heads towards the bottom
20 due to gravity separation. The lighter particles
21 wouldn't settle as quickly. Then you could use that
22 as a basis then -- depending on the equipment -- you
23 would be removing material from the bottom where you
24 would have the heavier material and perhaps filtering
25 it out then you would have your radioactive materials

1 concentrated there.

2 MR. CAVANAGH: And this is a proven
3 technology at this point? I realize defining proven
4 is another story.

5 MR. GRANT: Yes. It's a technology that
6 has been used a lot in the mining industry and other
7 places. So there's a lot experience and background
8 in it, but again as we've seen from the work that was
9 done on the material, the soils at the airport site,
10 it didn't prove to be feasible from a cost point of
11 view. So you've got to apply it to the right type of
12 soils. The soils at the airport site had a high
13 level of clay which means you don't have a
14 possibility of getting the separation to occur the
15 way you want it to.

16 MS. GINSBURG: Jim, I think some of us back
17 here are having trouble hearing.

18 MR. CAVANAGH: Why don't you use the mike.

19 MR. GRANT: The soils at the airport site
20 had a high level of clay in them so that inhibited
21 the chemical extraction ability and inhibited the
22 ability to make this physical separation. One of
23 issues about the soils at the downtown site is that
24 it's fill and ash, so you may have a possibility
25 there of applying the soil washing even though it

1 wasn't successful at the airport site.

2 But again, you'd have to go in and maybe
3 take a look at the particle /size. I think it's also
4 been pointed out that since it is fill, it's a very
5 heterogeneous material. You may have some soils here
6 with clay over here, you may have bricks and rocks
7 over here and you may have ash here and so you would
8 really have to take a look at that and see if the
9 predominate make up of the fill was such that it
10 could be treated also based upon any testing that was
11 done.

12 So I'm not reporting that we would know in
13 advance that this would be successful with the
14 materials and soils at the downtown site, just that
15 they are different and might lend themselves to the
16 technology -- the physical soil washing.

17 THE FACILITATOR: It's interesting. When
18 you asked your question, there were a bunch of smiles
19 among the technical types in the back wondering how
20 is Jim going to answer this question.

21 MR. GRANT: Well, you know, if anybody back
22 there wants to add to that, correct me, or add some
23 additional comments, feel free to do so.

24 THE FACILITATOR: Dave Miller, do you have
25 something to add?

1 MR. MILLER: Just briefly, yes. I just
2 wanted to distinguish between success and being able
3 to achieve the cleanup threshold which the chemical
4 treatment process actually did. It wasn't successful
5 in the sense that it was cost effective. And that
6 gave some hope to the fact that perhaps that at the
7 Mallinckrodt site with the differences in the
8 physical and chemical properties that that process,
9 soil sorting or soil separation process, might have
10 some hope down there as opposed to the SLAPS site.

11 So it was successful in the sense that the
12 cleanup goals were achieved. It wasn't successful in
13 the sense that it was cost effective.

14 THE FACILITATOR: Any other comments or
15 questions about the Technologies Working Group draft
16 report at this point? Okay.

17 There was at last month's meeting a request
18 that there be an opportunity for a presentation on
19 microwave vitrification as a potential process to be
20 used in St. Louis. It was Ric Cavanagh's request and
21 there is time on the agenda today for that
22 presentation. Who is prepared to do that? Please
23 introduce yourself and carry on.

24 PRESENTATION ON MICROWAVE VITRIFICATION:

25 MR. GOLDEN: Good morning. I'm Jeff -

1 Golden. I'm with a company called Clean Earth
2 Technologies. We've established this company here in
3 St. Louis for the purpose of building pollution
4 remediation equipment based on microwave
5 vitrification technology.

6 I'd like to tell you a little bit about
7 what microwave vitrification is. If you look in the
8 dictionary you can look up the word "vitrify" and it
9 comes from the Latin word glass. It just means glass
10 making. In particular, though, we're not going to
11 make glass like you see in the windows, we're talking
12 about a glass-like substance which have the
13 properties that chemicals in the glass are chemically
14 bound into the glass.

15 Glass has a very, very high durability. If
16 you look at the geologic samples of volcanic glass,
17 naturally occurring glasses, some of these glasses
18 are literally hundreds of millions years old.

19 The National Academy of Science has found
20 through various studies that glass is used for
21 immobilizing radioactive waste, it can durability
22 lifetimes and very low solubility that are projected
23 to be beyond a hundred thousand years. So glass
24 appears to be a very, very stable way of safely
25 storing radioactive contamination.

1 Microwave vitrification is simply using
2 microwaves to provide the heat energy to heat and
3 then fuse the materials to melt the materials in the
4 glass-making process.

5 Microwaves can be contained inside of a
6 metal container so that they don't leak out so the
7 heat source is efficiently contained and at the same
8 time there's no safety issues associated with that
9 heat source.

10 If you look at the chemistry of the
11 glasses, they're mostly -- the glasses that we're
12 looking at are silicate glasses -- they have silicant
13 and oxygen. It's basically sand that has been
14 fused.

15 There are other chemicals in there which
16 break the molecular arrangement of the silicant and
17 oxygen atoms and in small quantities when you add
18 radioactive contaminants they're bound inside of this
19 molecular network.

20 If you look at it you'll see -- sort of an
21 illustration here, this is kind of a two dimensional
22 illustration of a three dimensional network -- image
23 you have a hair net and now you've put some of the
24 contaminants inside of the hair net and fused them so
25 they are part of net and then ball it all up. -You

1 have then a conception of what it's like to lock up
2 this material inside of the glass.

3 It not encapsulation, it's not soaking it
4 up into a sponge, it's chemically bound. If you make
5 the right glass chemistry, you have a situation that
6 when it's attacked by water it will be self-healing
7 and so it can have extremely low solubility rates.
8 And there are actual tests that are done to show that
9 materials leak out in extremely low rate, so this
10 type of waste form is very stable, it's safe to
11 handle.

12 If you take the clay-type materials that
13 you find in the Nevin soils group, which make up the
14 soils that are found around SLAPS, the ball field and
15 Coldwater Creek and you dry it out and you find it
16 has find it has very, very tiny particle -- like
17 flour. In the wind these can be dispersed. If you
18 have an accident transporting large volumes of this,
19 you have an easily dispersed material that has the
20 radioactive contamination in it.

21 The glass, on the other hand, even if you
22 were to take the glass and break it up, the
23 individual shards of glass are not anymore soluble
24 than the large mass except for the larger surface
25 area of the volume. And so you have a situation

1 where you don't have an easily-dispersed, fine,
2 flour-like powder that can get around the
3 environment, you have chunks of glass which can be
4 retrieved and even individually aren't very soluble.

5 So what does this waste form look like?
6 Here you see a picture of a 250 pound slug of
7 microwaved vitrified glass. This is made at the
8 Rocky Flats plant, inside of a stainless steel drum.
9 You see varies color gradations, that's because of
10 the variation in what was actually going into the
11 mix, that actual materials that were being treated to
12 make the glass. We're basically talking about a
13 glass ceramic material that looks like a big rock,
14 it's a mineral.

15 These glass waste forms can be made in
16 rectangular containers, they can be made in
17 containers that have a slight taper with a liner so
18 that they can be removed from the container, the
19 containers can be reused, and you end up with then
20 rectangular prisms, rectangular logs, if you will,
21 that can be shipped off for disposal.

22 Well, you might ask what are microwaves.
23 We've all used microwave ovens in cooking and they're
24 rather ubiquitous. What I show here is
25 electromagnetic spectrum. Microwaves are

1 electromagnetic energy, they're light energy.

2 We're all familiar with the rainbow and
3 here you see the colors of the rainbow which is the
4 visible part of the spectrum. If you go to measure
5 what color, you can measure by the wavelength of
6 these electromagnetic waves which is literally the
7 distance between the peaks or the troughs of the
8 waves.

9 When you go bluer, the wavelengths get
10 smaller. If you go past the blue, you get to the
11 ultraviolet rays. Beyond that are X-rays, such as
12 dental X-rays for taking pictures. If you go to the
13 redder, you get to light you can't see anymore,
14 called infrared, which is often used for baking and
15 cooking.

16 (If you go to a longer wavelength still
17 where the wavelengths are now no longer microscopic
18 but the order of a few inches across, we call those
19 microwaves. Examples of applications of microwaves
20 are radars, home ovens, cellular telephones and
21 industrial processing.

22 Microwave vitrification is performed at
23 either the 2.45 gigahertz frequency or 958 megahertz
24 frequencies which are FCC approved bands for those
25 particular activities. They're also the bands which

1 are used for microwave cooking. Of course, if you go
2 a longer wavelength you get into familiar radio
3 waves. So there is nothing my mystical about
4 microwaves, they're just another form of light
5 energy.

6 Well, where does this technology come
7 from? The idea of using microwaves for cooking and
8 then for vitrification for radioactively contaminated
9 wastes was purposed more than thirty years ago. But
10 it was in the late seventies where there was a great
11 flurry of activity in Japan and in Great Britain to
12 actually produce practical systems for doing this.

13 In the mid-1980s the Department of Energy
14 laboratory started to look at this and particularly
15 at Oak Ridge National Laboratory in Tennessee and at
16 the Rocky Flats Environmental Technology Site in
17 Golden Colorado.

18 In the early nineties, the Rocky Flats
19 plant put together a pilot plant which has been
20 operating for about five years, and it was recently
21 shut down as that project ended, but it showed that
22 you could produce 70 kilograms of glass per hour on
23 the pilot scale with very, very good reliability and
24 very, very good quality glass.

25 Today microwave vitrification is being

1 pursued actively around the world in many countries,
2 but in particular it's being pursued in France,
3 Japan, Russia and here in the United States. Here in
4 the United States Clean Earth Technologies company is
5 pursuing it.

6 Well, why do vitrification at all? And in
7 particular why do microwave vitrification? Why dig
8 the stuff up out of the ground and add some things to
9 it and melt it down? Well, the reason of course,
10 first, is because it's a cost-effective way of
11 getting it into immobilized waste form.

12 The kind of things we're talking about
13 adding to what comes out of the ground are things
14 like sand, borax, diatomaceous earth, things that are
15 very inexpensive, commonly found, safe things that go
16 into making a good glass. Other things might be
17 lime, soda, ash -- that sort of thing.

18 It turns out that when you heat up the
19 material you lose a lot of water that's chemically
20 bound inside of the soil so you get some weight
21 reduction. You also boil off such things as
22 carbonates and other things which produce harmless
23 gasses like CO₂ and give off some nitrogen and what
24 have you.

25 It turns out that the amount that you lose

1 is approximately equal to what you have to add in the
2 glass-forming materials. So the mass stays about the
3 same in whole process once the water is removed and
4 at that point you get a change in density. You
5 actually pack more stuff in a smaller space and the
6 result is that you very easily achieve a factor of
7 nearly two in terms of volume reduction.

8 That means if you start out with a cubic
9 yard at the beginning of the process, when you're
10 done you're going to have a half cubic yard. That's
11 half as much volume. Since tipping fees, handling,
12 transportation, have a large component of costs that
13 are based on volume, there's cost savings there.

14 As far as the immobilization of the waste,
15 a very big issue is risk and liability. By
16 stabilizing the waste at the site before you
17 transport it you have a waste form which is much
18 safer to handle, which is not easily dispersed, is
19 not soluble, and it's not going to get dispersed into
20 the environment.

21 In addition, it's a retrievable waste form
22 and principally you can dig up these logs fifty or
23 five thousand years later. If better technology
24 comes along or other means of storage or disposal,
25 you have a way of getting to it.

1 But why microwaves? Well, just like in
2 your home a microwave oven is relatively compact and
3 efficient because it has a low thermal mass and you
4 really just heat the food, you don't heat all the
5 stuff around it. You don't need a big, huge
6 refractory box like they use for making glass
7 commercially.

8 So a microwave oven is very much more
9 compact, less expensive to operate. It can be easily
10 started up and stopped. It can be stopped in a
11 matter of a fraction a second. Whereas, conventional
12 glass-making is done in large refractory ovens that
13 take many, many hours to shut off without incurring
14 thermal disasters. So microwaves are something which
15 can provide a lot energy, very portable and very cost
16 effectively.

17 So let me take you through the process of
18 how one actually does microwave vitrification. The
19 first step, of course, you dig up the waste and you
20 feed it into the processing equipment. It has a lot
21 of water in it. Typically the clays are about 1.75
22 grams per cc, that's the Nevin group, typical St.
23 Louis soils.

24 After you've dug them out of the ground
25 they may still have as much as 30 percent water and

1 you have to get rid of the water to make good glass,
2 otherwise you'll end up with porosity in the glass.
3 So it has to be dry. This can be dried by
4 conventional heating techniques or it can be dried by
5 microwaves. Both have been very effective.

6 Once the waste is dried, you add
7 glass-forming materials -- a little sand, a little
8 soda, maybe some diatomaceous earth and borax -- mix
9 it up real good, maybe put it through a grizzly to
10 shred it down into pieces that are easily handleable
11 and fed into the microwave equipment.

12 You start out with a metal container with a
13 little bit of this mixture that you put together
14 according to your recipe at the bottom of the can and
15 add microwaves. It gets hot.

16 (It's like putting a roast in the microwave
17 oven, it gets hot. As you leave it in though, it
18 gets hotter and hotter. In this case we're trying to
19 burn the roast. We leave it in until it melts. Then
20 we keep adding material and microwaves until the drum
21 is full.

22 When the container is full, we disconnect
23 it, put it aside for cooling, connect another
24 container and keep on going with the process. Once
25 the material is cooled down sufficiently it's dumped

1 out of the container. It can be tested and then
2 shipped off for disposal.

3 Now, some of the issues are that you
4 generate off-gas. When you dry the material you get
5 steam. When you actually make glass, you get various
6 gasses that come off -- mostly nitrogen, oxygen, CO2,
7 a lot of water.

8 These things may or may not have
9 particulates in it. There's some nitric oxide, some
10 sulfur dioxide. The concentrations are very low,
11 very handleable. But a big part of the system for
12 doing this kind of work is an off-gas treatment
13 system so that the gas emissions are clean air, the
14 water emissions are clean water.

15 These things are very important because
16 there's no point in doing microwave vitrification
17 without having adequate controls on these things
18 which you discharge. The idea is to clean things up,
19 not to make them dirty.

20 When you dig up radioactive contaminated
21 soil it has uranium, and it's radioactive daughter,
22 it's going release radon. This is being released all
23 the time at the sites so it's important when you
24 handle it not to confine it in such a way for a long
25 period of time that you'll build up radon

1 concentrations that are unacceptable. This is a
2 matter of doing good accounting and good handling.

3 It's also important in the treatment of the
4 gasses and all that you make sure that you trap all
5 of the particulates, that you don't let dust get all
6 over the place from excavation and from your actual
7 processing. This can be done with tents and
8 enclosures. As far as the water, again it's a matter
9 of trapping it and treating it.

10 So where would microwave vitrification fit
11 into an integrated remediation, say, for the SLAP
12 site? Well the very first thing you would do, of
13 course, is prepare the site. And that might include
14 such things as frozen barriers between the site and
15 Coldwater Creek to prevent the change in groundwater
16 status from filtering down out of the site, to take
17 care of the excavation water, do a storm water
18 management, put up an enclosure to trap the gasses
19 and the dust so that you can filter them, use filter
20 media that can be crunched up, shredded and put back
21 into the microwave vitrification feed so they can be
22 disposed of properly.

23 Do some analysis. At SLAPS you have nearly
24 22 acres, not all of it is contaminated. There's a
25 plume around it which is leaking out onto Banshee and

1 out to McDonnell going across to the ball fields. It
2 would be nice to know where the edges of the plume
3 are, where the worst contamination is and if there's
4 any parts which aren't sufficiently contaminated or
5 which are below threshold that don't need treatment,
6 to do that you want to do analysis.

7 You want to do things like the LAN
8 spectroscopy and gamma ray spectroscopy so that you
9 know where it is that you want to dig, where it is
10 that you want to actually treat the stuff and only
11 clean the stuff that you have to take care. Only
12 treat the stuff that you have to.

13 But there is a another reason and that's
14 accountability. Measure the stuff as you dig it up,
15 measure the stuff after the vitrification, measure
16 the stuff in the equipment as it's going through.
17 That way you know what the inventory is of the
18 radioactive contamination. Make sure you don't lose
19 any of it. Keep track of it.

20 When it comes out, you test the glass. If
21 the glass is acceptable and has all the properties
22 it's supposed to for good disposal, send it off for
23 disposal. If it doesn't, send it through a grizzly
24 and put it back through the system and fix the
25 recipe. With an integrated system you can get-cost

1 savings by the selective soil sorting and you also
2 get cost savings by the volume reduction.

3 Are there any questions?

4 THE FACILITATOR: Yes, Mr. Kucera.

5 MR. KUCERA: I follow you to the point of
6 sending the materials off for disposal. What would
7 your plan be -- I know how soil type materials can be
8 disposed of at an approved facility like the Nevada
9 Test Site, Evirocare and Dawn and the other vendors
10 who are always here along with your folks, what about
11 sending instead of soil you're sending glass bricks
12 or glass cylinders, what's your plan to deal with
13 void spaces?

14 MR. GOLDEN: If you send them as
15 rectangular logs and you pick the geometry so that
16 it's acceptable, my understanding is that these are
17 quite acceptable to the disposal sites. You don't
18 want to send round logs, you don't want to send
19 spheres because then you have a big penalty and poor
20 geometry. But the Japanese have been doing, for
21 example, rectangular logs since 1982. So it's easy
22 to do.

23 THE FACILITATOR: Any other questions? Dan
24 Wall.

25 MR. WALL: Just to follow up on that: Can

1 you produce a fritted product as they do in a
2 conventional vitrification process.

3 MR. GOLDEN: I'm sorry, I couldn't hear the
4 question.

5 THE FACILITATOR: The question is can you
6 produce a fritted product as they do in conventional
7 vitrification.

8 MR. GOLDEN: You say, fritted?

9 MR. KUCERA: Fritted, yeah. That's a term
10 they use refer to the bead-like product that they
11 often make --

12 MR. GOLDEN: We have not produced fritted
13 or beaded product but that certainly could be done
14 with our process and we could certainly contact the
15 people who make the bead-ers. But ours is an
16 in-container process which has the advantage it can
17 have much higher glass viscosity and so it gives you
18 much higher waste loading.

19 The problem with the beads is that you have
20 a high surface area to volume and so the release rate
21 is much higher for a given corrosion rate. So there
22 are some advantages of doing it as a big monolithic
23 log. But beading can be added to this process
24 without any problem.

25 THE FACILITATOR: Additional questions? ?

1 THE CHAIR: Okay. I have a question about
2 the drying process where you discuss the fact that
3 you treat the waste water. When you treat that, what
4 volume of waste -- you have a residual waste
5 evidently, I'm sure, from that treated water and what
6 volume would that be and also what happens to it?
7 Does it go back into the mix?

8 MR. GOLDEN: Yes. The answer is yes, it
9 goes back into the mix if you choose the correct
10 techniques. It depends exactly on what there is in
11 the soil. If it's heavy clay soils you have to
12 expect that there's going to be a lot of fines and
13 such which are going to come out with the water.
14 Most of water is evaporated. So it's like distilling
15 the water, most of it comes out relatively clean with
16 very little particulates but some of it of course
17 will come out with contamination. That can be
18 filtered. You can use electrocoagulation to pull a
19 lot of it out. It can go through membrane
20 separations if they're organics. But sending it
21 through typical keno (phonetic) filters and charcoal,
22 granulated activated charcoal is very effective. All
23 of those media can be ground up and used as various
24 parts of the chemistry to make good glass so they can
25 be put right back into the mix.

1 THE CHAIR: Thank you.

2 MR. LARSON: It needs to be emphasized, and
3 perhaps you feel like you've already done that, but
4 the material is just as radioactive in the vitrified
5 state as it is initially. It's just as dangerous for
6 it to be handled in the vitrification state than it
7 is as raw dirt. That is a correct statement, isn't
8 it?

9 MR. GOLDEN: Actually the activity levels
10 because of the volume reduction factor being around a
11 factor of two, the activity levels would be about
12 twice as high for a given mass of material.

13 MR. LARSON: Right. So actually the
14 exposure -- the concentration would increase the
15 exposure levels per unit of material.

16 MR. GOLDEN: That is correct. However, now
17 the material is locked up for eons and in a place
18 where you know where it is as opposed to having it be
19 dispersible or migratable or transportable through
20 the environment.

21 MR. LARSON: Okay. The other question in
22 actually doing this would the process -- would the
23 equipment to do this stuff be built on-site in such a
24 place as SLAPS or HISS or somewhere else or would the
25 material be lifted and moved to a remote site where

1 the vitrification would take place and then disposed
2 of from that point.

3 MR. GOLDEN: Thank you for asking the
4 question. The question was would we build a factory
5 I guess on the site or would we have it be a portable
6 unit. Our systems are portable units that take up,
7 depending on the size, the processing size and power,
8 about two or three tractor trailers to do something
9 in the neighborhood of a half to one ton per hour of
10 waste form production. They are mobile systems. You
11 can drive onto the site, you can leave the tractor
12 trailers there, the tractor part -- the trailer part
13 rather, or you can off load the modules, pick them
14 up. It's easy to set up and take down and they can
15 be transported from site to site.

16 MR. LARSON: And do you have a rough
17 feeling for the dollars per cubic yard that this
18 whole procedure costs to go from raw dirt to the
19 material ready to hall.

20 MR. GOLDEN: Sure. It turns out that the
21 cost, including the capital cost of equipment, the
22 materials that you have to add, the labor and the
23 electricity, amount to about \$200 per ton, per metric
24 ton.

25 THE FACILITATOR: Clarence, do you have

1 something you want to amplify?

2 MR. STYRON: Yes. I just want to comment
3 about the hazards from the radioactivity. What you
4 said is quite true for the gamma radiation emissions
5 but once you have bound the dirt in this glass
6 monolith, the alpha particles are shielded by the
7 monolith so you can subtract that hazard and of
8 course you can't inhale the large glass monolith.

9 So to the degree, yes, the gamma is still
10 there but you have much less exposure potential to
11 the alpha radiation.

12 THE FACILITATOR: Okay. I saw two hands
13 over here, I'm not sure who was first, so you two
14 decide.

15 MS. HERMES: Do those cost figures include
16 the cost of freezing the boundaries and the soils
17 underneath the area that would be excavated?

18 MR. GOLDEN: No. The cost number that I
19 gave you is for the actual drying vitrification
20 process. It's for the actual treatment but not for
21 the site preparation.

22 We have looked at the overall costs for
23 doing the preparation. You would probably incur
24 those kind of barrier technologies whether you're
25 going to simply dig the stuff up and haul it away,

1 whether you're going to treat it by microwave
2 vitrification or do something else at the site.

3 MR. FRAUENHOFFER: You talked in terms of
4 tons, convert that to a cubic yard for me and you
5 said that you'd run about a cubic yard an hour -- I'm
6 sorry, a ton an hour. That's close to a million
7 cubic yards. How many years would it take to vitrify
8 what we have?

9 MR. GOLDEN: Okay. Good question. The
10 question was how to convert from tons to cubic
11 yards. It turns that roughly one ton of waste form
12 glass product is roughly a cubic yard.

13 THE FACILITATOR: Well, what about the
14 volume going in, that's the real question. What
15 we're talking about is what we're starting with.

16 MR. GOLDEN: And we're talking about
17 roughly a factor of two volume reduction. So we're
18 talking about being able handle something approaching
19 a couple cubic yards per hour for a given processing
20 head per container but you can have multiple heads
21 and containers in the system. You share off-gas
22 treatment, you share material preparation, that sort
23 of thing. So a few tractor trailers could easily be
24 doing several tons per hour. At that point,
25 depending how much you want to do at a time, since

1 these are modules, you just buy more modules. The
2 cost per unit will only go down if you do more at a
3 time than less. And having, you know, sort of eight
4 containers at a time being processed, you could do it
5 in about ten years. With more you could do it
6 faster.

7 THE FACILITATOR: Roger has a question and
8 then I would like to bring this portion of the agenda
9 to closure. We still have a couple of other items to
10 cover.

11 MR. PRYOR: Okay. The question I have is,
12 looking at these appendices to Jim's report, the
13 costs seem to be, you know, in the same ballpark more
14 or less but it's really not a cost savings we're
15 looking at. But one of the issues we're dealing with
16 here is the pragmatic problem of getting funding from
17 the federal government to do this project, however we
18 do it, and I know there's been some feeling that
19 perhaps if this were done, you know, as a full-scale
20 demonstration project here the interest -- and the
21 federal government has seen that done -- might make
22 them more interested in providing some money.

23 Now, that's an assumption someone made, I
24 don't think there's any validity to that, and I don't
25 think anyone can really speak to that, but clearly

1 that's another issue. I think what makes this
2 interesting and intriguing to me is that if it's
3 something that would enhance our chances of getting
4 funding, to get the whole project done, I don't know
5 if anyone can speak to that or not, but I know I've
6 heard that mentioned as if not an equal reason for
7 doing this, certainly a very high reason for
8 considering this process.

9 MR. CAVANAGH: I just happen to have a
10 resolution to that effect because I think that is an
11 opportunity that we might wish to pursue. I don't
12 know if it's appropriate to introduce it now.

13 THE FACILITATOR: If it's connected to this
14 presentation, this is the best time.

15 RESOLUTION BY MR. CAVANAGH:

16 MR. CAVANAGH: Okay. Let me quickly pass
17 this around then, if I may. This is one of these
18 resolutions that's easier for me to read than for me
19 to read aloud perhaps but the basic intent is along
20 the lines of what Roger was suggesting.

21 After reviewing the Department of Energy's
22 database remediation technologies, the St. Louis Site
23 Remediation Task Force has determined the use of
24 ex-situ microwave vitrification coupled with gamma
25 rays spectroscopy and laser ablation nebulization --

1 this is really fun reading for a non-engineer --
2 nebulization spectroscopy in a continuous field
3 process shows promise for achieving the cleanup
4 standards that we have established -- that's Kay
5 Drey's resolution; (2) for reducing volume and (3)
6 for stabilizing the radioactive waste.

7 So this resolution would read then that we
8 request the DOE evaluate the merits of the
9 aforementioned technologies in a field demonstration
10 on the 21.7 acres at SLAPS during fiscal 1997.

11 Further, the Task Force requests that the
12 remediation demonstration include appropriate
13 engineering controls to prevent contamination of the
14 water beneath SLAPS, i.e., frozen soil barrier
15 technology to stabilize the soils during excavation
16 and ensure that air quality is not compromised by the
17 emission of radon gas or volatile contaminants in the
18 soil.

19 Finally, the Task Force would like the
20 stabilized waste resulting from the demonstration
21 shipped to a facility licensed for the disposal of
22 radioactive waste.

23 And I believe the intention of this
24 resolution would be along the lines of what you're
25 suggesting, Roger, that we try and get a

1 demonstration going and to perhaps access some
2 available funds to have that tried out here in the
3 St. Louis area. So I would so move that resolution.

4 MR. PRYOR: I'll second that. And I'd like
5 to make a comment, if I could. The question I have
6 is still on the table as far as I'm concerned because
7 I don't know if there is anyone here who can speak to
8 this authoritatively. Maybe I'll throw this to
9 David, just to put you on the spot. Would DOE be,
10 you know, anymore inclined to -- is there any
11 inclination at DOE to try this process out on a large
12 scale like this somewhere or are we just casting
13 sand.

14 MR. ADLER: Well, it never hurts to test
15 the water. My sense is the technology has already
16 been tested on a small scale to comparable materials
17 already in that area. In fact, it was done by DOE
18 and other outfits subsequent to DOE so I guess
19 there's lab, bench, pilot scale type information
20 already available.

21 People have looked at that and I believe
22 concluded that the technology though it does offer
23 some of the things described such as stabilization
24 and so forth, ends up being at best cost neutral. It
25 doesn't actually save money. Unless there was some

1 other significant benefit, it might not be a top
2 priority. I think the direction of the budget is for
3 how you manage the waste form generated and things
4 you do to pretty it up prior to shipping it. They
5 are almost secondary issues, I think. But, you know,
6 you can try it and see what happens.

7 I think there is a fair amount, though, of
8 information available on this technology as it
9 relates to this type of matrix, though. So it might
10 be repetitive with work already done.

11 THE FACILITATOR: Okay. There is a motion
12 concerning this resolution and a second. Is there
13 anyone else who wishes to speak to it? There are
14 several hands. We'll just go around the room.

15 MS. HERMES: I would like to offer two
16 amendments. One, that there be some wording that the
17 Task Force asks the DOE to provide for worker
18 protection and, two, that in the last part that the
19 stabilized wastes be shipped as a load is ready
20 rather than, say, at the end of the ten or twelve
21 years having the stuff on-site.

22 THE FACILITATOR: Were the amendments
23 understood and are they acceptable?

24 MR. CAVANAGH: I'll accept it as a friendly
25 amendment, I guess.

1 MR. PRYOR: That's fine with me.

2 THE FACILITATOR: That's a yes, I think.

3 MR. FRAUENHOFFER: I guess I need a
4 clarification in terms of what's being proposed. Is
5 this the total site as a demonstration or we're going
6 to take some quantity of material from the site and
7 demonstrate that it works. In other words, it's the
8 difference between a two to \$5 million and in you're
9 going to do the whole site a couple hundred million
10 dollar project and if you approach one -- one may be
11 more successful than the other in getting support.

12 THE FACILITATOR: So the question is what's
13 the scale you're contemplating here for a test?

14 MR. CAVANAGH: I believe what we're talking
15 about is a demonstration as opposed to a complete use
16 of it. So it would be on a smaller scale.

17 MR. FRAUENHOFFER: Okay. Then I guess my
18 question is why are we looking at frozen soil
19 barriers, things like that, as a part of this
20 resolution. If what we're testing is the technology
21 it's a matter of just grabbing some material and
22 seeing if it works and seeing what the impact is, out
23 of the middle of the site where you don't disturb
24 anything else, or don't change anything else.

25 THE FACILITATOR: Does everybody understand

1 the question?

2 MR. FRAUENHOFFER: Unless you want to try
3 several different technologies. Again, I'm trying to
4 determine what's the purpose of the resolution.

5 MR. CAVANAGH: I think that the intent is
6 to have the demonstration occur here in St. Louis at
7 this site and to use larger quantities perhaps of the
8 material so that we can better understand whether or
9 not it's cost effective --

10 THE FACILITATOR: The question is broader
11 than that, though. Apparently the resolution
12 includes some reference to the frozen soil barriers
13 and things of that sort and Jack's question was why
14 is that a part of the resolution if really what we're
15 trying to get is a determination whether this
16 technology, the microwave vitrification portion, is
17 suitable for use here. Is that the question?

18 MR. FRAUENHOFFER: Yes.

19 MS. HERMES: Can I ask a further question
20 which might clarify?

21 THE FACILITATOR: Along the same lines?

22 MS. HERMES: Yeah. My impression was that
23 we were talking about using the airport site as the
24 demonstration?

25 THE FACILITATOR: Yes, SLAPS was referred

1 to specifically.

2 MS. HERMES: Okay. So wasn't it to do the
3 whole airport site as a demonstration site?

4 THE FACILITATOR: No. That was the initial
5 question and the answer is no, the idea is to do
6 enough volume to demonstrate one way or another the
7 effectiveness of this technology and the suitability
8 of the technology for application at SLAPS, correct?

9 The proposal is not to just embark now on
10 the remediation of the entire SLAPS site utilizing
11 this technology. It is rather embark on a test to
12 prove or disprove the suitability of the technology
13 for use at SLAPS. Correct?

14 MR. CAVANAGH: Yeah. And to the second
15 part of the question maybe Conn Roden can speak to
16 it.

17 MR. RODEN: Well, to me it's the soil
18 barrier technology and the other you're talking about
19 ensuring air quality that's just natural protective
20 measures you would take in the process of doing the
21 vitrification.

22 MS. STEWARD: Can we have an idea of what
23 the approximate cost and the amount of time that's
24 going to be required to do this?

25 THE FACILITATOR: Cost and time.

1 MR. CAVANAGH: At this point I really can't
2 answer that, I don't know. Does anyone else?

3 THE FACILITATOR: Bob Wester is indicating
4 that he can respond.

5 MR. WESTER: If I may, I would just address
6 a couple of the issues that were brought up. The one
7 that Jack brought up about the frozen barriers
8 technology, that's as an example is the way it's
9 referenced in here, as I read it. I just read it
10 now.

11 I think probably more appropriate is Conn
12 Roden's comment. Whatever technology is appropriate
13 that you would normally take as institutional
14 controls or engineering controls to maintain a safe
15 working environment, that would be the proper wording
16 perhaps to put in there. That may include this type
17 of technology or other technologies appropriate.

18 Going to the cost issue, it's a
19 demonstration project, start to finish, of
20 approximately \$4.9 million, as I remember the
21 reference, which does, in fact, include the decision
22 for DOE to move the waste off-site as prepared, not
23 allow it to be stored.

24 MS. HERMES: So that includes the disposal
25 cost, off-site disposal.

1 MR. WESTER: That includes the disposal
2 cost.

3 THE FACILITATOR: Dave, would you ask your
4 question so everybody can hear it, please.

5 MR. ADLER: I'm sorry. What volume of soil
6 would that \$4.9 million address?

7 MR. WESTER: Let me refer that to Dr.
8 Golden.

9 MR. GOLDEN: We're talking about something
10 like a couple hundred tons at the top end.

11 MR. PRYOR: Is that a couple hundred tons
12 of glass?

13 MR. GOLDEN: Soil.

14 MR. PRYOR: What is the volumetric
15 comparison of that?

16 MR. GOLDEN: Well, it depends on what the
17 actual soil --

18 THE CHAIR: Excuse me, we can't hear over
19 here. Could maybe you go to the microphone.

20 MR. GOLDEN: The question was how does the
21 volume relate to the weight. It turns out there's
22 typical densities are around one and a half to one
23 and three-quarters tons per cubic meter so we're
24 talking about something where there's about maybe one
25 and a half tons per cubic yards typically. And we're

1 talking about a demo that might do up to couple
2 hundred tons of soil, so we're talking about, you
3 know, somewhere between a 100 and a 150 cubic yards.

4 MR. GRANT: I mean we've heard a lot of
5 statements about typical things. One question that
6 I've had is what really is the volume reduction that
7 could be expected. We've heard a factor of two. Yet
8 I've heard -- this can vary quite a bit. It can be
9 as low as 25 percent or whatever. We've asked for
10 data information repeatedly and never received that.
11 There's nothing wrong with proceeding -- you know, \$5
12 million is a lot of money just to go on somebody says
13 it's going to do this. Without data I think it would
14 be prudent to run some kind of pretest or bench test
15 to substantiate just what the volume reduction would
16 be. Because if the volume reduction is 10 or 15 or
17 20 percent, it's not going to cost you a lot of money
18 rather than be revenue neutral. And I think that
19 type of information is necessary. If it's not
20 available, it ought to be done before we commit to
21 spend that type of money.

22 THE FACILITATOR: Additional comment?

23 MR. GRANT: Would be prudent to do.

24 MR. BINZ: More for clarification
25 purposes. The 4.9 million is really for a pilot

1 scale system. We're not talking about full-scale
2 production, we're talking pilot; is that correct?

3 MR. GOLDEN: That would be a system that
4 would do something in the neighborhood of maybe a
5 quarter of a ton of glass per hour.

6 MR. BINZ: Again, for nomenclature
7 purposes, is this a pilot system or a full-scale
8 production system?

9 MR. GOLDEN: It's bigger than a pilot
10 system which already exists and it's not as big as a
11 full-scale production. It would be within a factor
12 of two or three of a full-scale production system.
13 Sort of the middle between a pilot scale which has
14 been done and a full-scale. But no integrated system
15 has actually been --

16 MR. BINZ: So --

17 MR. GOLDEN: -- at a site like SLAPS. You
18 know, there are similar systems that have been built
19 for fixed installations and also we don't really know
20 exactly what the soils are at SLAPS. But we do know
21 that the worse case is heavy clays which are out
22 there. And if it's typical of other North County
23 heavy clays, we actually you do have some data on
24 those. And the volume reduction of 45 percent is
25 cheap with the very heavy clays. Presumably it's not

1 all heavy clay. So that's kind of a worse case.

2 MR. BINZ: So it sounds perhaps that a
3 component of the pilot system would be available for
4 a field demonstration possibly?

5 MR. GOLDEN: That would be up to DOE --

6 THE FACILITATOR: Please make sure you
7 speak up so everyone can hear your response.

8 MR. GOLDEN: If the pilot system is DOE
9 equipment it would have DOE to relinquish it.

10 THE FACILITATOR: I saw some other hands
11 but I'm not sure where.

12 MR. RODEN: I just wanted a clarification
13 maybe clarification from DOE. Do you have any
14 information on Savannah River? There is a
15 vitrification process going on there, at least I
16 understand that, can you kind of give us an idea of
17 how that system works in comparison to what we're
18 talking about here? Or what's your success rate or
19 how you determined it down there?

20 MR. PRICE: It's used for a very different
21 application. It's use for a very high level -- it's
22 a very different process.

23 THE FACILITATOR: That's Less Price
24 speaking.

25 MR. ROLEN: I have a little problem with

1 the resolution in the fact that since this process
2 was presented to us, it was presented as an
3 integrated process. And one of those processes was
4 that all excavation would be done under an
5 atmospheric boundary layer, a shelter of some kind.

6 I've heard somebody say, well, that's just
7 part of natural safeguards. I don't think that's
8 acceptable, that that should be part of the
9 resolution and part of the process. That that's
10 stressed. Because we have a significant safety factor if
11 we allow particulates in the atmosphere that probably
12 exceeds the danger of a SLAPS site altogether.

13 THE FACILITATOR: So you're saying that for
14 your purpose it would be only acceptable if the
15 motion were clearly to include an enclosure or some
16 other form of protection?

17 MR. ROLEN: Either that or if the
18 resolution were referring to presentation set of
19 documents or whatever that actually describes a
20 process and I think that would probably be better if
21 the resolution actually referred to very technical
22 volume.

23 THE FACILITATOR: A detailed --

24 MR. ROLEN: Yeah, a detailed technical
25 volume.

1 THE FACILITATOR: -- proposal. Any other
2 comments on the motion? What's your pleasure with
3 respect to it? Sally?

4 MR. ADLER: Can I fill in one more thing?

5 THE CHAIR: Sure, go ahead.

6 MR. ADLER: I was just doing some quick
7 math, and I hope it's good, but just as a
8 perspective, that for about \$5 million you could ship
9 off just directly as we've been doing for the past
10 couple of years about 5,000 cubic yards of soil.

11 So if you assume that all the money is
12 ultimately coming from one pot regardless of how big
13 that pot is, we're talking about a demonstration
14 project which gets 200 or 400 cubic yards -- I can't
15 remember how the 50 percent cut goes out to Utah
16 admittedly in a very, very safe form versus 5,000
17 cubic yards to Utah in a pretty safe.

18 I mean, we believe that we can safely
19 transport this soil in it's current form so that's a
20 consideration, I think, as we think about how to
21 apply our resources for next year and the year after
22 that or whatever.

23 MS. HERMES: Can you say those last numbers
24 again?

25 MR. ADLER: Yeah. And this is a dangerous

1 stuff but it's literally scratched out of the air.
2 But for \$5 million you could ship about 5,000 cubic
3 yards of soil based on our experience of the past
4 couple of years. So that would be a lot of soil. So
5 spending about \$5 million would get about 5,000 cubic
6 yards out of town the old-fashioned way as we've been
7 doing in the past couple of years versus 200 cubic
8 yards under the new technique, if my math is right.
9 I think it is.

10 UNIDENTIFIED: Without emission controls?

11 MR. ADLER: Well, we would use the standard
12 emission controls for the technique we currently use
13 which is a wetting and covering and monitoring.

14 THE FACILITATOR: I would like to jump in
15 here and just point out that at twenty-five minutes
16 of ten and we began this presentation at ten minutes
17 to nine; is that right? Yes. And we still have a
18 couple of other items on the agenda that are rather
19 important. They may not take long but they are
20 important so I would like to try to expedite this,
21 bring it to closure and get on to the rest of the
22 agenda.

23 MS. PRICE: I really don't know if we're
24 prepared to vote on this. I don't know what the
25 sense of the group is. There's one issue that hasn't

1 been raised that is in support of this technology
2 that I would like to just raise for all of your
3 consideration. And that is from a national
4 perspective there is only so much room in our
5 licensed facilities and if our motivation is to see a
6 lot of our soil removed from our area, we have to
7 justify that pretty much in order to use up space
8 that is valuable for the country for these same sorts
9 of purposes and by reducing the volume with this
10 technology, if it were feasible, even if it's cost
11 neutral, as Dave already has said, there is still a
12 benefit to be obtained for using the technology so
13 that's just an issue to keep in mind as you consider
14 it. And I don't know what the pleasure of the group
15 is.

16 MS. BUNTON: I think some suggestions were
17 really good -- worker protection, ship it off as its
18 glassed up. But, Mr. Adler, I think your suggestion
19 was just to kind of kill the whole thing.

20 MR. ADLER: No, it's really just to provide
21 perspective.

22 MS. BUNTON: Well to me when you say a
23 couple of years, this stuff has been sitting here
24 fifty years. And if there's something out there that
25 we can use to get it out here, to use our land, keep

1 our people safe, let's do it.

2 MR. ADLER: Sure. I was just mentioning
3 that there are other techniques that we've been
4 employing for the past couple of years to do that,
5 that would get more of it out. That's all.

6 THE FACILITATOR: Additional comments? I'd
7 really like to bring this to closure. It has been
8 almost an hour so please say what you have to say --

9 MR. GOLDEN: Well, I'd like to point that a
10 demo would be not just a demo of microwave
11 vitrification but it would be an integrated demo that
12 would include the other technology such as the
13 analysis and the techniques for safely removing the
14 stuff. So it's just microwaves that you get for that
15 5 million bucks.

16 THE FACILITATOR: Okay. Where are we and
17 where would you like to go in the next minute and a
18 half?

19 MR. CAVANAGH: I hate to be parliamentarian
20 again but basically I would say we've got two
21 options. We have a vote to be taken or someone would
22 make a motion to table -- one or the other.

23 THE CHAIR: Right. Is there a motion to
24 table the resolution? That being the case do we take
25 a vote on this resolution?

1 THE FACILITATOR: If that's your pleasure.

2 MR. LARSON: I would like to make a motion
3 to table the resolution until the next meeting. And
4 just an idea, and I'd appreciate comments, but I
5 assume that this resolution is proposed and has the
6 endorsement of the technology committee; is that
7 correct? Does the technology committee stand either
8 way on this?

9 MR. GRANT: This is the first anybody has
10 seen the resolution today.

11 MR. LARSON: Okay.

12 MR. GRANT: So that's not true.

13 MR. LARSON: Okay. So your idea was not to
14 come in here today and suggest that we spend 5
15 million on this pilot plan, that wasn't the
16 subcommittee's idea?

17 MR. GRANT: Well, the recommendation was
18 that we continue to evaluate this vitrification
19 technology. This proposal would be a way of doing
20 that. I believe, though, there are some
21 uncertainties in the volume reduction information
22 data and before we go forward and spend \$5 million we
23 ought to do some pretesting to demonstrate we really
24 can get the 50 percent reduction. If that's the
25 case, okay, then perhaps the additional money spend

1 to do the demonstration is worthwhile. But again
2 it's revenue neutral and then what you're interested
3 in is what Sally talked about -- the stability of the
4 waste form and the fact it does reduce the volume of
5 the waste and the amount of space it takes up.
6 That's the benefit you'd be getting from it.

7 MR. LARSON: My motion then would be to
8 table the resolution until DOE -- for us to request
9 that DOE comment on its -- from their experience on
10 its applicability here and that we at the next
11 meeting consider a smaller scale test which would
12 follow the lines of what Jim is suggesting. That if
13 we go ahead with it based on what DOE may be able to
14 tell us if they have any light to shed on this, that
15 we then go ahead on a bench scale level and that
16 whoever is responsible for putting together the
17 details of that bench scale would come to us with a
18 cost figure for that.

19 THE CHAIR: Okay. Is that acceptable to
20 the group? We need a second to the table motion.

21 THE FACILITATOR: There is a second.

22 THE CHAIR: Okay. All in favor of tabling
23 the motion for the reasons Donovan gave say aye? And
24 all opposed? So we'll take a hand vote then?

25 THE FACILITATOR: Yeah, that was close. I

1 couldn't tell one way or another. So all in favor of
2 the motion to table, please signify by raising your
3 hand and hold it up while we count, please.

4 THE FACILITATOR: Six hands. All opposed
5 to tabling the motion please raise your hand? Ten,
6 two abstentions -- Mr. Horgan and Ms. Ginsburg.

7 THE CHAIR: So we are not tabling the
8 motion, it failed. Now, we need to discuss the
9 amendments that Donovan has just brought up. If you
10 want to recap those, Jim, for everyone.

11 THE FACILITATOR: I'd really rather Donovan
12 recap them.

13 THE CHAIR: Okay.

14 MR. LARSON: Okay. You want me to recap
15 what my motion to table said?

16 THE CHAIR: I thought you were suggesting
17 that we amend the resolution to include a smaller
18 scale, a bench scale type of a process.

19 MR. LARSON: Right. As well as the
20 amendments mentioned before which is to emphasize
21 workers safety which would include the atmospheric
22 controls that Mr. Rolen mentioned and the point that
23 the material be hauled away as soon as a truckload of
24 processed waste is ready. The other amendment would
25 be to reduce the scale of the suggested work to the

1 level of a bench scale so that we could determine the
2 actual cost per unit of waste processed and we can
3 determine the actual volume/reduction.

4 And the suggestion would be then that I
5 assume Clean Earth Technologies people would come
6 back to us with a cost of that bench scale study.
7 Does that make sense?

8 THE CHAIR: Okay. Is there a second to
9 that amendment?

10 THE FACILITATOR: There is a second.

11 THE CHAIR: Okay. Discussion?

12 MR. RODEN: I think one or two things that
13 a small scale bench scale may not tell you is the
14 fact that this technology hinges a lot on finding the
15 hot spots and removing the hottest areas and making
16 decisions on what pieces of soil you remove and being
17 able to put barriers up to protect the water table,
18 being able to protect the atmosphere. It may not
19 prove a lot if you do a small scale test.

20 It's also an opportunity to look at the
21 overall picture of this whole problem. And one of
22 those is not to move our dirt to somebody's else
23 home. This technology gives us the opportunities to
24 approve technologies in the future and that this
25 waste can be removed from the ultimate storage site

1 and done something else with if we find some great
2 new method of doing it or some place else to put it,
3 like some other planet.

4 But there's a lot of potentials for the
5 future and I think it may be an unfair test if you
6 did a small scale test. If you just considered this
7 on the cost and merits of the St. Louis site and not
8 look at the overall picture.

9 MR. PRYOR: You know I can't pretend to
10 know what scale things should be done at to make it a
11 feasible demonstration project. But my assumption is
12 there's been some discussion already and the figure
13 for 4.9 million I assume came out of some
14 discussion. Now, maybe it's not a complete
15 discussion of what would be adequate to give us some
16 results that would be useful for further action.

17 But I would frankly I guess want to leave
18 that to the consultants and the contractors and DOE
19 to determine to some degree -- you know, I don't see
20 how we can substitute their expertise on how big a
21 project needs to be done to make it measurable so it
22 means something.

23 I think the project should be, though, as
24 big as necessary to give us some results that can be
25 useful to us. I do worry, along with Ray's comments,

1 that we under cell this thing we might just be
2 wasting money. I think there's a gamble that we
3 waste money but, you know, maybe the 5 million proves
4 to be wasted but if we cut it down to two a half
5 million dollars, say, and it doesn't produce results
6 that could tell us anything then where are we?

7 I mean the whole purpose of a demonstration
8 project is to demonstrate whether it works. And
9 that's a gamble. And what we're gambling with is
10 some money on the idea if it works, they'll give us a
11 process that provide more stability, reduce volume
12 and maybe a safer cleanup.

13 MR. WALLS: I'd just like to kind of
14 support what Jim Grant has been saying. I mean in my
15 view I think we already know that we can vitrify
16 material and that we can probably do it safely. It's
17 the threshold information having to do with whether
18 or not we get good volume reduction on site specific
19 soils that will tell you whether or not to go ahead
20 with an integrated project. And I think if you don't
21 have that threshold information, you're kind of
22 jumping the gun if you're talking about going ahead
23 with the pilot scale project.

24 THE FACILITATOR: Other comments?

25 MR. GRANT: I guess to add to what Roger

1 was saying. You know, when you look at the situation
2 you've got to sort of look ~~it~~ and say well, what
3 scale and how much. And I /guess my concern has
4 always been you just go into the thing and say you're
5 going to spend the \$5 million, you may know after a
6 million dollars that it's not a successful program to
7 move forward. So maybe a compromise on an
8 alternative is to lay out a test protocol of some
9 kind that allows you to evaluate at certain milestone
10 steps where you're at and whether or not you feel
11 it's worthwhile to continue of test, something like
12 that.

13 That's the whole idea about pilot testing.
14 We at Mallinckrodt would never just jump in and spend
15 \$5 million without doing some bench tests and some
16 pilot testing because you need to do some preliminary
17 pilot testing to even design your periphery control
18 -- your condensers, your water treatment. How are
19 you going to get that right.

20 So it's a matter of saying, okay, we're
21 running some tests but let's have some milestones
22 along the way and set some evaluation material to say
23 at this point we're going to look and see if we're
24 getting the type results we think we need and, if so,
25 we will continue. And if we're successful all the

1 way through, yeah, we'll finish the demonstration
2 study.

3 But if a fourth of the way through it's
4 clear that we're averaging a 25 percent volume
5 reduction, it would be silly to go on and finish the
6 rest of the test. So maybe there's some way of
7 laying out a test, protocol test, that allows us to
8 do that evaluation as we go a long.

9 Yeah, we do some test work, we determine
10 the efficiency of the technology but if it looks like
11 it's really going downhill we cut off our losses at
12 that point. You know, maybe something like that
13 would be the way to go and rely on the technical
14 people to get together to lay out what that protocol
15 should be.

16 THE FACILITATOR: Okay.

17 MR. PRYOR: Just a quick point. Ric's
18 resolution doesn't address any dollar amount, nor
19 should it I think. It basically says we're
20 requesting DOE to evaluate the merits of the
21 technologies in a field demonstration.

22 I mean, that seems to me we've thrown it
23 back to the various people to determine what that
24 scale should be and what the cost should be and I
25 would hope there would be criteria along the line

1 that if after, you know, a certain period of time it
2 looks like it's going nowhere that you could pull the
3 plug on it. I don't know how that works. But the
4 resolution, as I see, doesn't tie anyone to a
5 particular dollar amount. That figure was mentioned
6 as something that it cost around. And I think it's
7 getting clouded because David mentioned well, for the
8 same amount of money you can do this. But we really
9 haven't thrown it out. All we're asking is that this
10 be evaluated. So it seems to me that pretty
11 clear-cut.

12 MR. CAVANAGH: That's correct.

13 MR. MANNING: I just want to point out a
14 couple of things. One the demonstration will dispose
15 of 200 tons of contaminated waste. DOE's 5,000 cubic
16 yards is 5,000 cubic yards of whatever it is that's
17 excavated which could have excess, basically spoil in
18 it, so we would know that what we were getting rid
19 of. It could be that they will go through 5,000
20 yards of material before they get down to 200 tons of
21 material to be shipped away.

22 And I think at this time to put a dollar
23 amount on the demonstration, let's let DOE say that
24 okay. This is going to be the demonstration, give us
25 a price Mr. Contractor to go through and get rid of

1 the waste in that area, period. And then we'll know
2 what our volume reduction is and we'll know basically
3 what our actual cost and reduction is or any cost
4 savings that we may have.

5 THE FACILITATOR: Are there any other
6 comments?

7 MS. HERMES: I would just like to call the
8 motion.

9 THE FACILITATOR: Okay. I was going to
10 offer one comment and say this is why we did things
11 in working groups throughout the last two years so
12 that we could have this kind of discussion, get into
13 depth and come back to the Task Force with a
14 collective recommendation that didn't require this
15 level of scrutiny. However, the motion has been made
16 to call the question.

17 MR. CAVANAGH: A point of order. I believe
18 there's an amendment that's been made and seconded
19 and so we need to vote on the amendment and that
20 amendment from Donovan, I believe, was to reduce the
21 scale to a level of a bench scale project. So we
22 would first have to vote on that amendment.

23 THE FACILITATOR: Which is where we began
24 this dialogue back with Donovan's explanation of his
25 amendment. Is everyone sufficiently up to speed to

1 be able to vote the amendment. Yes? The question is
2 could there be a friendly substitution. The question
3 is would you be amenable to including in your motion
4 that DOE be asked to worked with the proponents of
5 this to establish an acceptable protocol?

6 MR. LARSON: Yes. The point of my
7 amendment was simply to minimize the expense just in
8 the way Jim Grant was discussing. Minimize the
9 expense on a technology that may not do what we think
10 it's going to do. So, yes, to modify my amendment so
11 that DOE is working with the contractor in developing
12 protocol so that that take place, so that in that
13 protocol as data are created we discover that costs
14 are not going to justify going forward, it can be
15 stopped. That's the point of my bench scale
16 amendment.

17 THE FACILITATOR: Okay.

18 MR. LARSON: So yes, I accept that
19 addition.

20 THE FACILITATOR: Is that clear enough for
21 everyone to be able to express pro or con sentiments
22 on?

23 MR. PRYOR: Does Jim mean that as an
24 addition or as a substitute?

25 MR. GRANT: Well, I was meaning as a

1 substitute.

2 MR. PRYOR: That's what I thought.

3 MR. GRANT: Bench/scale for me could mean a
4 lot of things. You could jump to a small industrial
5 unit to do your test work and that would perhaps
6 resolve some of the concerns about whether bench
7 scale is full size or not.

8 MR. PRYOR: I'm not sure Donovan is clear
9 on that. Because I mean I would be willing to vote
10 for that amendment as a substitute but not just
11 tacked on to the other words that are already there.

12 MR. LARSON: Well, go ahead and restate
13 what you're suggesting and we can vote.

14 MR. GRANT: Well, what I stated was that we
15 would want the DOE to work with the proponents or
16 contractors on this technology. Develop a
17 reasonable, suitable test protocol to determine
18 whether the technology is going to work and obviously
19 the idea was that we don't spend anymore money than
20 we have to, to do that.

21 THE FACILITATOR: There's a term that Sarah
22 uses and that's trying to corral kitty cats and I
23 think we're trying to do some of that right here.

24 MR. GRANT: Maybe I just restate it that
25 the DOE work with the --

1 MR. LARSON: Okay. Yeah, we --

2 MR. GRANT: -- to put together a suitable
3 demonstration protocol. And just leave it at that.

4 MR. LARSON: Okay. My amendment then would
5 be for DOE and the Clean Earth Technologies to put
6 together a pilot project protocol that would provide
7 for an investigation of this technology in a
8 step-by-step format so that its reasonableness can be
9 determined before the entire \$5 million is spent. I
10 think I'll stop there.

11 THE FACILITATOR: A good point to stop.

12 MS. BUNTON: Is that, Donovan, inside of an
13 on-site test at SLAPS?

14 MR. LARSON: The pilot project may or may
15 not be on-site depending on the efficiency of putting
16 the pilot together. In other words, we assume that
17 an efficient protocol would be established to give us
18 good numbers as to whether we should proceed, whether
19 that's on-site or off-site. You know, Clean Earth
20 Technologies are the experts and I'm not so it might
21 be there's very good reason to do it off-site if it
22 were done on a small scale.

23 MS. BUNTON: I guess because I don't
24 understand all of this, I need to ask since there's
25 already been pilot testing to some extent, how could

1 we get good benchmark information if we're not there
2 where that certain soil mix is at to know whether
3 this is working?

4 MR. LARSON: Okay. The problem -- I don't
5 mean to dominate, I'm sorry. If anyone wants to jump
6 in, go ahead. The problem is that we are judging a
7 technology we know very little about. We simply want
8 to make sure that we don't spend \$5 million if a
9 million dollars will show us that it does not work.
10 If it does work, I don't think most of us would argue
11 that \$5 million expended would make sense.

12 MS. BUNTON: Yeah, I agree with that. I'm
13 just wondering how you find that out if you're not on
14 the site where you need to know.

15 MR. LARSON: Well, my experience as an
16 engineer is that there are various levels at which
17 you can determine the same data that is your ultimate
18 goal. You can do a pilot test and within 10 or 20
19 percent accuracy you can tell whether the reductions
20 are going take place and whether the cost benefits
21 are there.

22 If you do it on a larger scale you might
23 reduce that plus or minus accuracy to 5 percent. So
24 the more money you expend the more accurate your
25 study or your -- the more accurate your data will be

1 with regard to whether or not the costs are
2 reasonable or not. Obviously, you have more to say
3 on this, go ahead.

4 MR. WESTER: Donovan, the only thing I
5 wanted to clarify is that the \$5 million or the 4.9
6 million that I referenced before was the whole
7 technology package, other technologies that the
8 Technologies Working Group recommended for further
9 evaluation. It included mobile gamma spectroscopy,
10 it included LAN spectroscopy which is laser ablation
11 nebulization spectroscopy and microwave vitrification
12 as an integrated package, all mobile, all ready to
13 move to a secure site. That's why the SLAP site was
14 picked. It's fairly well characterized in the form
15 of its boundaries at least by the fence for security
16 purposes. It's an area that has been prepared. It
17 has what we're hoping is a clean to work from so that
18 your cost of 4.9 million or 5 million is not just
19 microwave vitrification.

20 One other side to that, before this was put
21 together as a package, the non-contaminated regional
22 soils at the airport were tested just to get some
23 information on the soils. That volume reduction
24 showed a 63 percent reduction in volume. Then you
25 have to account for a frit, that is to make a good

1 glass which was a 5 to 6 percent additive. So you
2 have a net reduction is in the neighborhood of 57 or
3 58 percent.

4 And the reason I'm reluctant to bring that
5 up is because that was just a query on our part. Is
6 it going to work? It wasn't what I call a formal
7 protocol that was followed in order to give that
8 evaluation. But obviously before I'm going to invest
9 money as a businessman I want to know if I'm going to
10 have something that's going to have a proper effect.
11 And from that point we're operating on the basis that
12 conservatively speaking we're 50 percent based on the
13 regional soils, not the contaminated soils which can
14 be slightly different, but they are incorporating the
15 regional soils and we can have reasonable expectation
16 from that. But the 4.9 or \$5 million includes the
17 whole technology package, not just microwave
18 vitrification.

19 MR. LARSON: And your point is then that to
20 reduce that to say that instead of treating 200 tons
21 you treat 20 tons and you spend .5 million, that's
22 not the way it works?

23 MR. WESTER: That is not a linear
24 extrapolation.

25 MR. LARSON: Well, what's your minimum

1 threshold? Are you saying 5 million is the cheapest
2 demonstration that we can do?

3 MR. WESTER: For the whole package. It
4 hasn't been analyzed as individualized components for
5 that purpose. You can't go in and not test soils for
6 its contents, it's chemical, it's radioactive content
7 and have the health and safety issues attached and
8 worker safety issues attached if you're going in
9 on-site. And again, I'm bringing to the point that
10 it was demonstrated to go to that site because of
11 some of the physical characteristics to which is
12 added to the safety and security and then reduce
13 cost. If you were to go across the street to the
14 ball field you'd have to build a fence, you'd have
15 build security, you'd have to add some of the
16 controls that the SLAP site already had. So the \$5
17 million again is the whole technology package for
18 demonstration, not just the one technology.

19 MR. LARSON: Well, the point is --

20 THE FACILITATOR: There are two more
21 questions, so let's see if we can close this one up.

22 MR. LARSON: I was just going to point out
23 what I think is obvious. Somebody do this math with
24 me, if you will, but the 200 tons treated at \$5
25 million is \$2,500 a ton. It's as Dave points out,

1 it's a \$1,000 to haul away the dirt as our experience
2 now demonstrates. So two and a half times the cost
3 of the known technology is what we're going to pay
4 for the unknown technology. And at the end of \$5
5 million expenditure, are we then going to have a more
6 cost-effective method of treatment than a \$1,000 per
7 ton. I think that's the question.

8 MR. CAVANAGH: If I can try and clarify. I
9 think the most important thing, get back to reading
10 the resolution, nowhere in the resolution does it
11 cite any dollar figure. And I think we got to the
12 4.9 and that's kind of sidetracked us and everybody
13 is thinking about a dollar amount.

14 The two key points that I'm hearing and
15 seeing in the resolution are that we are asking DOE
16 to evaluate the merits of this technology in whatever
17 way, shape or form and with all the appropriate
18 discussions and scientific perspectives added to that
19 and that it be done at SLAPS.

20 Those are the key components. And I think
21 -- it sounds like we're all pretty much in agreement
22 -- it's worth looking at, that's where our work
23 group has come at, and we're saying with this
24 resolution is, you know, to support that, move
25 forward and have DOE work at getting something going

1 at SLAPS from a demonstration perspective, no dollar
2 amounts involved.

3 MR. GRANT: Just a comment and a request.
4 I agree with what Ric has said. But this comment
5 about the previous soils that have been tested at 63
6 percent, and this is the first time anybody I think
7 at the Task Force or the work group has heard about
8 the cost. I think it's legitimate. I mean if there
9 is data available, please share it with us. We've
10 asked for that before and we've also asked if you
11 have a plan for this technology in terms of how you
12 want to test it and what it is please share that with
13 us.

14 If you've come up with \$4.9 million it must
15 be based on some kind of plan. I think it would be
16 legitimate for this group or possibly DOE to have
17 that available to them to evaluate and see if it
18 makes sense. Otherwise, we don't have all the
19 information we need to evaluate the situation.

20 But I agree with Ric's comment about the
21 general resolution. Maybe some of these details can
22 be thrashed out later.

23 THE FACILITATOR: There are several hands..
24 I understand that Dr. Golden has had his hand up for
25 ten minutes. Please be brief and speak to whatever

1 the point is.

2 MR. GOLDEN: Well, I would like to point
3 out that soils are regularly vitrified. They're used
4 as glass-forming factors like Fernaud, DOE,
5 Westinghouse Savannah River.

6 Now the issue is what other details are
7 there in fielding such technology in the integrated
8 package at a site like SLAPS. And the demo doesn't
9 address that. It doesn't really solve the problem.
10 The other thing is once you've done the demo, we have
11 equipment out there, sure you've paid two and a half
12 times the factor premium to do that demonstration,
13 there's no reason why you can't continue using that
14 equipment for another ten years and end with costs
15 that are approaching a couple hundred bucks per cubic
16 yard.

17 MR. HORGAN: I'm just sitting here trying
18 to process all the information that's going around
19 but I just want to say on behalf of Congressman
20 Talent, I think that this technology holds a lot of
21 promise and it's definitely worth looking at in terms
22 of general terms like Mr. Cavanagh said, I just would
23 need to confer with the Congressman and more members
24 on the Task Force before I could specifically vote
25 for this particular resolution. But, you know, it's

1 certainly on the table.

2 THE FACILITATOR: I haven't heard any
3 objection from the time Jim presented the
4 Technologies Working Group report an hour and a half
5 ago to right now any fundamental objection to the
6 notion of pursuing this technology. It is a
7 recommendation, a specific recommendation in the
8 Technologies Working group report to the Task Force.
9 It's now embodied in the resolution. No one has said
10 let's not do this.

11 What do we need to do to bring this to
12 closure today? We're back to the question of the
13 resolution.

14 MR. BINZ: I know it may appear to be
15 counterproductive but it seems to me logical to
16 remand this back to the working group.

17 THE FACILITATOR: Now, we're introducing
18 logic.

19 MR. BINZ: Are you throwing stones at me
20 here, Jim, or what?

21 THE FACILITATOR: No, I'm just wondering
22 what took you so long.

23 THE CHAIR: I know we're getting slap happy
24 but I feel this resolution is a result of the working
25 group's work and I just think we're going in circles

1 to go backwards. I don't remember who it was that
2 pointed out -- maybe it was Ric -- that, you know,
3 there is no dollar amount in this thing. I'm fine
4 with it, if it reads as it does, and somehow maybe we
5 can generally incorporate the concerns of Mr. Grant
6 in there with regard to the scope of the
7 demonstration project. I mean we have asked -- as a
8 group there's been consensus on DOE looking at this.

9 THE FACILITATOR: So what you're saying is
10 that if this were clarified to say, DOE please
11 proceed to work with whomever it may be appropriate
12 to develop specific ground rules or protocols for
13 this to proceed, that that would make it work for
14 you?

15 THE CHAIR: Yes. And without the \$5
16 million.

17 THE FACILITATOR: Well, there is no dollar
18 amount as Ric has pointed out.

19 THE CHAIR: I know. And there isn't to
20 begin with and we've been talking about it as if it
21 was in there.

22 THE FACILITATOR: In essence all you're
23 saying let's advance the recommendation of THE
24 Technologies Working Group by putting in it in
25 resolution form.

1 THE CHAIR: That's right. That's the way I
2 see it.

3 MS. STEWARD: We would also like to see in
4 the resolution a statement that this work will be
5 performed at SLAPS because we feel that we should
6 duplicate as much as possible the conditions under
7 which the actual work would be done if we ended up
8 using this technology.

9 THE FACILITATOR: It's in the resolution so
10 that should not be an issue. The only issue I think
11 that has been suggested for addition at this point,
12 and I'm being sort of rough around the edges here,
13 I'm not paying strict attention to all of the
14 conversation for the last twenty minutes but it seems
15 to me that's what being said now is if we add a
16 sentence that says please work cooperatively to
17 develop the protocols that would lead to the
18 implementation of this recommendation. We've got
19 it.

20 MR. CAVANAGH: I don't think anything has
21 changed from the intent of the resolution.

22 THE FACILITATOR: I don't think so either.
23 So what shall we do with it?

24 MR. CAVANAGH: Vote on it.

25 THE CHAIR: I think we should take a vote.

1 THE FACILITATOR: All those in favor of the
2 resolution please signify by saying aye.

3 MR. LARSON: As amended?

4 THE CHAIR: As amended.

5 MR. CAVANAGH: There were friendly
6 amendments accepted about providing worker
7 protection, some of the atmospheric controls issue
8 and to ship when stabilized.

9 THE FACILITATOR: Does that cover it?

10 THE CHAIR: Are we not putting anything in
11 about the protocol? I thought we were.

12 MR. LARSON: I thought that we had an
13 amendment also that said the protocol would be
14 developed that would allow for this thing to proceed
15 as it continues to be determined to be cost effective
16 and then at some point that the demonstration be
17 stopped if it were not.

18 MR. CAVANAGH: That was not accepted as a
19 friendly amendment.

20 THE FACILITATOR: It's not accepted.

21 MR. LARSON: Okay.

22 MR. GRANT: I would state something simpler
23 -- just that a reasonable protocol be worked out
24 between DOE and proponents --

25 MR. CAVANAGH: That's fine.

1 MR. GRANT: -- to satisfactorily evaluate
2 the technology. I think that says it.

3 MR. CAVANAGH: Yeah, that's fine.

4 THE FACILITATOR: Okay.

5 MR. LARSON: That's fine. My concern, Jim,
6 is, let me just mention, is that we don't know what
7 kind of dollars that we're going to spend on this and
8 that's just been my concern. Obviously to go ahead
9 with this, Ric, we've got to spend some dollars. We
10 don't know how many dollars we're going to spend. At
11 what point are we going to say that we've spent
12 enough dollars to make complete the demonstration.
13 You know, if we're not going to say anything about
14 dollars -- we eventually have to -- so I suppose that
15 could be covered at a later date.

16 MR. CAVANAGH: And I would expect DOE to
17 come back to us and it would all be part of the
18 process working with the Technologies Working Group
19 and so forth.

20 MR. LARSON: Okay.

21 MS. GINSBURG: I wanted to suggest that we
22 might resolve this issue by a minor wording change.
23 It says we request that the DOE evaluate the merits
24 and field protocol of the aforementioned
25 technologies.

1 MR. LARSON: That's fine.

2 THE FACILITATOR: Did everyone hear that
3 and understand? Anna has made a specific suggestion
4 for a language modification to the resolution which
5 she think embraces everything that's just been said.
6 Would you repeat it?

7 MS. GINSBURG: We request that the DOE
8 evaluate the merits and field protocol of the
9 aforementioned technologies.

10 THE FACILITATOR: Does that do it? Ric?

11 MR. CAVANAGH: Yeah, that's fine.

12 THE FACILITATOR: Ric is saying yes, that's
13 acceptable to him.

14 THE FACILITATOR: Does it satisfy
15 everyone's needs? Does it not satisfy anybody's
16 needs? All right. Then let's call the question on
17 that.

18 THE CHAIR: All those in favor say aye?
19 All those opposed nay? Any abstentions? One.

20 THE FACILITATOR: One abstention.

21 THE CHAIR: Okay the motion is passed.

22 THE FACILITATOR: Thank you, Anna. Okay.
23 Unless there is something more to be said about
24 technologies, we can move to old business.
25 OLD BUSINESS:

1 THE FACILITATOR: There is just one item of
2 old business that I would like to bring to your
3 attention. We can either deal with it today or next
4 week and that is that the Alternative Sites Working
5 Group presented its updated conclusions and
6 recommendations to the Task Force a couple of months
7 ago after it had evaluated the Dawn Mining site as a
8 potential disposal site.

9 When that occurred the actions of the
10 working group had just occurred a few days earlier,
11 there was no documentation, there is now an updated
12 matrix. You have all seen this matrix when it had
13 ten sites on it. It did not include Dawn. It now
14 has eleven sites on it. It does include Dawn. And
15 as I reported to you orally several months ago, Dawn
16 fell into the same upper tier category as the four or
17 five sites we found originally to be suitable.
18 Those were three DOE sites -- I guess there are four
19 altogether. The three DOE sites and Envirocare. The
20 Dawn Mining site was determined to be in that same
21 general category of suitability.

22 We can do either of two things. What I
23 would prefer you do if there aren't questions in
24 anybody's mind is that you formally adopt the
25 recommendations of the Alternative Sites Working

1 Group so we have that done. We have a clean slate,
2 nothing hanging in that category.

3 If you are uncomfortable in doing that for
4 any reason, need to refresh your memories or need
5 additional information from us then we could defer
6 action on this to next week.

7 MR. MANNING: Jim, I'll go ahead and make
8 the motion that we accept it.

9 THE FACILITATOR: Thank you, Tom. And
10 there is a second, a couple of seconds. Any
11 discussion? Shall we vote on that?

12 THE CHAIR: All in favor say aye? All in
13 opposed nay? Any abstentions? So we have now
14 adopted the final matrix from the Alternative Sites
15 Working Group.

16 MS. GINSBURG: Yes, thank you. That will
17 enable us to proceed with that part of the final
18 report as well.

19 NEW BUSINESS:.

20 THE FACILITATOR: Is there any other
21 business? There is one item under new business.
22 Tom, are you going to handle 8 (a)? Who is going to
23 handle 8 (a)?

24 MR. LARSON: Let me just mention real quick
25 what this new business is. The various utilities

1 have met over the last few weeks here in St. Louis
2 Country -- the County Water Company, which is my
3 employer, Laclede Gas, Metropolitan Sewer District
4 and Union Electric to discuss the ongoing concerns
5 about handling routine maintenance and emergency
6 maintenance situations in the vicinity properties.

7 And we are specifically asking the FUSRAP
8 group to join us in requesting that the Department of
9 Energy support us in our work to the level indicated
10 in this letter to Sally Price.

11 In the second paragraph specifically we ask
12 that the DOE through its St. Louis-based
13 representative organization immediately provide field
14 and technical support on an as-needed basis to all
15 affected public utilities. This would include
16 twenty-four hour on-call emergency response to
17 utility job sites and to access the need for safety
18 precautions.

19 If DOE determines that specially trained
20 workers are required to handle the soils then DOE
21 would be responsible for providing such workers at
22 that time, for any excavation and backfill necessary
23 to assure safe entry of utility workers to repair or
24 maintain their facilities.

25 DOE would also be responsible for disposal

1 of any excess excavated material if there are any.
2 This support of public utilities working at the
3 SLAPS, SLDS and Vicinity Property facilities would
4 need to continue until completion of all site
5 remediation work by DOE or until such time that DOE
6 provides the necessary easements and funds for the
7 permanent relocation of all utilities facilities.

8 Now hopefully you've read the rest of the
9 letter but the emphasis here is simply on the need
10 for the additional unusual support that is needed
11 working in these special areas by the utilities such
12 that our own workers do not have to achieve the high
13 level of training and safety consciousness that would
14 theoretically be required in working in a dangerous
15 area.

16 We are simply asking that when dangerous
17 areas are identified that DOE take the responsibility
18 to make the area safe prior to our going in to
19 complete our routine tasks. This has been a point
20 where we haven't quite seen eye-to-eye with DOE over
21 the last few years and we would like to get it
22 resolved. DOE in the past has not quite wanted to
23 make the commitment to be available on a twenty-four
24 hour basis and to provide us with clean conditions
25 where hazardous condition presents themselves.

1 We're simply trying to rectify the
2 situation by asking DOE to make that pledge to us and
3 it would help if the FUSRAP group were to agree with
4 us.

5 MR. CAVANAGH: I would second that motion.

6 THE FACILITATOR: So there is a motion and
7 a second. Specifically what action are you asking
8 for from the Task Force?

9 MR. LARSON: I'm specifically asking --
10 okay, let me read it. That would be smart. The last
11 paragraph reads, Therefore, the representative St.
12 Louis utilities request that FUSRAP Task Force
13 members recommend, by a vote of the membership at the
14 next -- at this meeting, that DOE assume the above
15 responsibilities and also appropriate the necessary
16 funds from this and future annual budgets to
17 accomplish this task.

18 So it's a matter of committing the dollars
19 they may have to be spent, we don't know, but if an
20 emergency situation does occur that the dollars would
21 have to be spent and that they would be available
22 from this and future DOE budgets.

23 THE FACILITATOR: It ought to be crystal
24 clear, it's all on paper in the last paragraph of the
25 document that was distributed at the beginning of the

1 meeting recites the action that you're asking for.
2 It has been moved and seconded so it's ready for
3 discussion.

4 MR. KUCERA: Donovan, by the FUSRAP Task
5 Force you mean this Task Force?

6 MR. LARSON: Yes.

7 MR. KUCERA: The St. Louis Site Remediation
8 Task Force?

9 MR. LARSON: Yes.

10 MR. KUCERA: So if the resolution goes to
11 Secretary O'Leary, for instance, she will understand
12 who it is we're talking about?

13 MR. LARSON: Yes.

14 MR. KUCERA: There's a FUSRAP committee
15 that Sally serves on and I just wanted to make sure.

16 MR. LARSON: Well, I can only request the
17 recommendation from this group and I will I'll ask
18 Sally to support this -- if we recommend it as a
19 group, I would ask Sally to support it at her
20 advisory committee level as well.

21 THE FACILITATOR: But the action today is
22 simply the St. Louis Site Remediation Task Force
23 action.

24 THE CHAIR: The inside address here speaks
25 to me as Chair of FUSRAP Citizens Advisory

1 Committee. I am not Chair of any such group so I
2 think St. Louis Site Remediation Task Force should be
3 substituted there.

4 MR. LARSON: Consider it done.

5 THE CHAIR: The other thing I remember this
6 issue as being on the table a year ago and now and
7 then through the year you've alluded to it regularly
8 but it seemed as though -- maybe it was in January
9 there had been a change in your relationship on these
10 issues with DOE, was there a time when they did
11 provide twenty-four hour response and then it
12 stopped?

13 MR. LARSON: Well, it's not complicated.
14 DOE a few years ago was more willing to commit to
15 twenty-four hour response to our testing needs. In
16 the most recent correspondence they have backed away
17 from that a little bit. Instead of being available
18 twenty-four hours, they're available as conditions
19 allow, I think, or something to that degree. And so
20 that change has occurred.

21 And the other significant point is that DOE
22 has never committed to making a site safe for utility
23 workers if we were to encounter a dangerous area in
24 our work and we're specifically asking for that.

25 MR. ADLER: I guess if I could comment.

1 The twenty-four hour thing is available and remains
2 available. That's an ongoing service that we have
3 provided and will continue to provide.

4 All the areas in the utility corridor have
5 been mapped so we know where the contamination is and
6 is not. That's not an issue.

7 But you're right, the third point has been
8 an issue. We've never been in a position to respond
9 to a property owner or utility manager with yes to a
10 property owner with yes, we'll come up and dig it all
11 up and take it away at your convenience. That is a
12 real tough nut for us because we've got eighty
13 different property owners, plus utilities each of
14 whom would like to come to us and say, hey, I'd like
15 to build a building over here and do something, can
16 you get all this soil up and take it to Utah first.
17 That's just been a budgetary thing.

18 So I think the real change that I think
19 this thing would create if made a reality would be
20 having DOE on call to service the utilities for the
21 removal of soil.

22 The question I had is this any soil that's
23 contaminated we're talking about or are we just
24 talking about those particularly contaminated areas?
25 Are you saying basically whenever the utility wants

1 to do work in an area with contamination exceeding
2 residential guidelines, that DOE would come in and
3 remove excess soil or are you just saying that in
4 areas where the levels are high enough that they
5 present a hazard to workers for utility type work?

6 MR. LARSON: Yeah. We're saying that in
7 areas where the soil would in DOE's opinion require
8 forty hour trained people to work within that area.

9 MR. ADLER: Okay.

10 MR. LARSON: That those areas then be
11 handled by your people.

12 MR. ADLER: Okay.

13 THE CHAIR: I think it sounds reasonable.
14 Are we going to vote then? Do we need a motion to
15 approve this?

16 THE FACILITATOR: There is a motion and a
17 second. We're into discussion.

18 THE CHAIR: Then we need to call for a vote
19 unless there's any further discussion.

20 THE FACILITATOR: Are we ready for a vote?
21 All those in favor of the motion which is requesting
22 support of the full Task Force for this proposal made
23 by the utilities forum. All those favor of that
24 please signify by saying aye? Opposed? Abstain? No
25 abstentions, no opposed votes. Okay. Motion carried

1 unanimously.

2 Is there any other new business? Is there
3 anything that we haven't talked about today that
4 anyone would like to have included on the agenda for
5 next week?

6 What we're going to try to do, and it
7 really depends on cooperation from everybody around
8 this table, please read this draft document, get your
9 comments back to us within forty-eight hours, by the
10 end of the day Thursday. We will start writing
11 Friday morning. We will get a revised document out
12 as quickly as we can. We will meet next Tuesday.
13 Hopefully you will have had that document in your
14 hands for at least twenty-four hours, maybe longer,
15 we will hopefully approve that document. It will be
16 the final Task Force document subject only to
17 modification by public comment. And we're going to
18 do a fact sheet. We're going to extract from that
19 document all the critical information that would be
20 sent out in a simplified document to the public in
21 advance of the public hearing.

22 Anything else?

23 THE CHAIR: The distribution plan for the
24 report?

25 THE FACILITATOR: We're going to deal with

1 that next week too. We had said that earlier.

2 THE CHAIR: Right.

3 THE FACILITATOR: The Communications
4 Working Group report will also be on the table next
5 week. Anything else that needs to be said today?
6 Thank you all for your patience and your endurance.
7 See you next Tuesday at 7:30 here.

8

9

Adjourn.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE

I hereby certify that the foregoing is an accurate and complete transcription of my shorthand notes taken at the aforesaid time and place.

Rosam Hault

Court Reporter

28 Aug 96

Date

145769
52-1021

00-2121

Formerly Utilized Sites Remedial Action Program (FUSRAP)

ADMINISTRATIVE RECORD

for the St. Louis Site, Missouri



U.S. Department of Energy

Property
of
ST LOUIS FUSRAP LIBRARY

FUSRAP Document Management System

Year ID

00 2121

Further Info?

☐

Operating Unit

North County

Site

HISS

Area

Hazelwood Interim

MARKS Number

FN:1110-1-8100g

Primary Document Type

Public Affairs/Community Relati

Secondary Document Type

Public Meeting Minutes/Transcripts

Subject or Title

Before St. Louis Site Remediation Task Force, Transcript of Proceedings, Tuesday Morning, August 20, 1996

Author/Oriinator

Company

Date

8/20/96

Recipient (s)

Company (-ies)

Version

Final

Original's Location

Central Files

Document Format

paper

Confidential File?

☐

Comments

9809251047

Include in which AR(s)?

☒ North County

☐ Madison

☐ Downtown

☐ Iowa

ETL

8.10

SAIC number

12 08

Filed in Volume

8

Bechtel ID

SL-1021, 14576

