

ST. LOUIS SITE REMEDIATION TASK FORCE
TECHNOLOGIES WORKING GROUP

* * * * *

TRANSCRIPT OF PROCEEDINGS

* * * * *

TUESDAY AFTERNOON, JULY 16, 1996

* * * * *

BE IT REMEMBERED, that on Tuesday, July
16, 1996, the herein described parties met at the
World Trade Center, Tenth Floor, 121 South Meramec,
Clayton, Missouri 63105 and the following proceedings
were had, to-wit:

HALE REPORTING, INC.

No. 4 Godfrey
St. Louis, Missouri 63125
(314) 524-2055

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PARTICIPANTS ATTENDING:

Jim Grant, Mallinckrodt Chemical Co.
Mitchell C. Scherzinger, MDNR
Kay Drey
Tom Shepherd, Dawn Mining

Elsa Steward, MDNR
Lee Sobotka, Washington University
Laurie Peterfreund
Bob Wester, R.M. Wester & Associates

David Wagoner, Enviorecare
Tom Binz, Laclede Gas Company
Molly Bunton
Conn Roden, County Health Department

SUPPORT:

James Dwyer, Facilitator
Dave Miller, SAIC

* * * * *

TUESDAY AFTERNOON, JULY 16, 1996

(In Conference Room:)

MR. GRANT: I think the key objective of
this group originally was to take a look at
alternative technologies to see if there were any out
there that could be brought to bear on the St. Louis
site to help reduce costs overall as opposed to
digging up materials and sending them off some place,
primarily Utah as a base case.

And historically we've gone through, with

1 the help of Dave Miller and input from others, you
2 know, developed the list of possible technologies and
3 then wound up focusing really on two. I think soil
4 washing, to a certain extent, and vitrification. I
5 don't make any claim that our list was a 100 percent
6 complete but I think we thought we identified most of
7 the key technologies we're looking at.

8 We got down to looking at soil washing
9 based on the Clemson tests. They really didn't look
10 economical in terms of doing any good at St. Louis
11 site. I think there were some thoughts that the
12 soils at St. Louis downtown might be different and
13 perhaps some bench characterization should be done
14 for those soils. That hasn't been done yet.

15 On the vitrification side, SAIC put
16 together a cost estimate for us trying to compare
17 vitrification and hauling soils away for disposal for
18 SLAPS, so we're comparing apples and apples. The
19 cost estimate they prepared showed the costs to be
20 greater applying vitrification than actually just
21 digging up the soils and hauling them away, there
22 wasn't an economic advantage.

23 There were others proposing the technology
24 that -- had a chance to look at that and propose an
25 alternative cost estimate in terms of what they

1 separation and the grain size distribution of the
2 waste makes it impractical to separate waste. So, I
3 mean, those are two other technologies that we did
4 look at.

5 MS. PETERFREUND: Can I ask a question,
6 because I missed the last meeting, but when I read
7 through those documents the difference in the cost
8 estimates between what SAIC has developed and, you
9 know, was put in I guess as rebuttal to that, wasn't
10 it based on a different set of assumptions or a
11 correction of assumptions, wasn't that the -- I mean,
12 that's the way I interpret it between the documents
13 or did I miss something in there?

14 MR. GRANT: Well, I think that's true. And
15 Dave's had a chance to look at it and then he's going
16 to have some comments on a comparative basis of the
17 estimates in terms of -- SAIC originally put those
18 together and he's going to have some comments on the
19 differences or lack of difference or whatever, that's
20 correct. And I think some of it boiled down to the
21 cost of transportation and the cost of disposal,
22 those type of things.

23 So, I don't know. That's the other thing
24 we can do. I mean, since everybody wasn't here last
25 time, you know, if you all want to you can talk a

1 little bit about the technology and what was in that
2 proposal or we can just jump right into discussion of
3 the differences in the cost estimate or lack of
4 difference in the cost estimate.

5 MR. SOBOTKA: Is there a difference?

6 MR. MILLER: Very little. We're talking
7 about the tweaking of knobs and dials a little bit
8 compared to the major drivers. The major drivers are
9 how much volume reduction you get and what's the
10 disposal fee on the other end for materials that you
11 have to dispose of.

12 The assumptions that were questioned were
13 what density did you use for the in-situ material
14 under pounds per cubic foot or 90 pounds per cubic
15 foot, it makes a difference, but the real difference
16 is on how much volume can you reduce and what's it
17 going to cost to get rid of stuff at the other end.

18 For everybody's clarity on this, basically
19 what the trade-off is with microwave vitrification,
20 there's a volume reduction over the in-situ volume
21 that you hope to gain by doing this as well as the
22 stabilization of the waste form.

23 MS. DREY: For shipment.

24 MR. MILLER: For shipment, that's -- well,
25 for whatever you want to do with it. You shrink the

1 volume, you make it more dense basically.

2 MR. SOBOTKA: What is the density of the
3 vitrium.

4 MR. MILLER: I don't know. Off the top of
5 my head, I don't know what the density is. And that
6 would depend on the amount of volume reduction you
7 get. But if you get a volume reduction, say, of
8 approximately 50 -- let's talk round numbers. I
9 think Jeff Golden would prefer to use 90 cubic pounds
10 per foot for the in-situ dry density of the material.

11 MS. DREY: Before you do anything?

12 MR. MILLER: Before you do anything.

13 MR. SOBOTKA: Ninety pounds per cubic foot.

14 MR. MILLER: And if you reduce the volume
15 of that by 50 percent, you should be looking at
16 somewhere around 180 pounds per cubic foot.

17 MR. SCHERZINGER: But he noted a 14 percent
18 mass reduction and a 10 percent increase due to --

19 MR. SOBOTKA: Excuse me?

20 MR. SCHERZINGER: There's a 14 percent mass
21 reduction.

22 MR. SOBOTKA: From where?

23 MR. MILLER: Is that in water?

24 MR. SCHERZINGER: Water. The
25 prioritization of organics and so -- but there's also

1 a 10 percent increase in volume due to prits or
2 glass-forming material.

3 MR. MILLER: Plus there's a silicate added
4 to the process.

5 MR. SCHERZINGER: Right.

6 MR. MILLER: So, you know, I do want to
7 keep this -- I mean, we can talk the details as much
8 as we want but the bottom line is do you get 25
9 percent or do you get 50 percent, and it makes a big
10 difference.

11 MS. DREY: In reduction, is that what
12 you're saying?

13 MR. MILLER: Volume reduction. We used 50
14 percent which was the outside estimate that could be
15 -- Clean Air thought could be achieved. Now it
16 might be a little higher than that now, and that's
17 okay too, but using 50 percent and incorporating just
18 basically everything that Clean Air said should be
19 incorporated and correcting our estimates using their
20 information, indeed, I agreed 100 percent we're --
21 you know, if it's 200 million to haul it out to
22 Envirocare, it's 200 million to implement a 50
23 percent volume reduction and dispose of it at
24 Envirocare at the existing disposal rate, okay.
25 Something else that plays into this --

1 MR. SOBOTKA: You're saying the 50 percent
2 volume reduction is offset by the other costs of
3 implementing the vitrification.

4 MR. MILLER: That's correct. There's a
5 cost associated with vitrifying.

6 THE FACILITATOR: I want to get it right.
7 So if we are assuming a 50 percent volume reduction,
8 from an overview point of view based on what we know
9 today, you would assume that the impact would be cost
10 neutral if you can achieve 50 percent volume
11 reduction.

12 MR. MILLER: Correct.

13 THE FACILITATOR: Presumably based on what
14 you know today, the cost of achieving that would be
15 approximately the same as disposing of the other 50
16 percent if you still had it.

17 MR. MILLER: That's correct.

18 MR. SOBOTKA: But once you've vitrified you
19 have to reexamine the assumption of shipping.

20 MR. MILLER: That's right.

21 MR. SOBOTKA: What's the purpose of
22 shipping it?

23 MS. DREY: Because the glass gets zapped by
24 the radiation and cracks and if you've got it --

25 MR. SOBOTKA: At this level it will --

1 MR. MILLER: -- to take it to Utah.

2 MR. WESTER: That's right.

3 THE FACILITATOR: I'm trying to
4 short-circuit this if it's possible to do that.

5 MR. WESTER: Well the other side of that,
6 Dave, if I can just add, is that with the discussion
7 of the different levels to be accepted --

8 MR. MILLER: Yes.

9 MR. WESTER: -- for different areas --

10 MR. MILLER: Yes.

11 MR. WESTER: -- it is even more important
12 that this technology as a package be understood
13 whereby only one-third of it has been characterized
14 into the cost, or the cost neutralization, or the
15 cost savings, or whatever you want to call it, only
16 one-third of it's here and it already brings it down
17 on 279,000 cubic yards to an even playing field.

18 THE FACILITATOR: And so you're suggesting
19 there may be -- or it's pretty clear to you that
20 there are potentially additional --

21 MR. WESTER: Oh, absolutely.

22 THE FACILITATOR: -- savings to be
23 achieved. I thought that there were two fundamental
24 issues that we were trying to address here today.
25 One is how do we get to the point where this working

1 group can present a report and recommendation of any
2 sort to the Task Force.

3 And then more specifically I thought, and
4 this is more by the grapevine than by any other means
5 of communication, it was my impression that there
6 were some advocates of a proposal or recommendation
7 of the Task Force that would call for funding of a
8 field experiment to test the validity of all of these
9 assumptions that we are discussing.

10 And it seems to me if we're really going to
11 try to do that in one day we'd better focus on the
12 end objective. You know, what do we want to say to
13 the Task Force next week and does it include -- or
14 should it, with conditions or without conditions or
15 however, a recommendation that the Task Force be
16 supportive of this proposal to do a field scale
17 demonstration model.

18 MR. SOBOTKA: Where has this technology
19 been applied in the field besides the Oak Ridge test
20 field?

21 MS. PETERFREUND: Which technology?

22 MR. GRANT: Vitrification.

23 MR. WESTER: Rocky Flats.

24 MR. SOBOTKA: And how much material was
25 vitrified there and what was -- plutonium was the

1 activity there or what?

2 MR. WESTER: There's a variety of
3 contaminants involved in the test and the development
4 and then the proof of its operation at Rocky. The
5 CET would have to talk to that. I can't.

6 MR. SOBOTKA: But to my knowledge it's not
7 something that's going on wholesale at Rocky Flats,
8 am I wrong?

9 MR. WESTER: Wholesale?

10 MR. SOBOTKA: Meaning in production mode so
11 to speak.

12 MR. WESTER: That is a technology
13 development from Rocky Flats that's been applied to
14 Rocky Flats within the past couple of years, that's
15 all. The development is about six years in the
16 process. The last year to two years is where they've
17 been testing a variety of contaminants and soils in
18 the Rocky flats compound. Now there's been many
19 bench scale tests done to prove validity, including
20 St. Louis soils.

21 MS. PETERFREUND: Isn't it fair to say,
22 though, at Rocky Flats they're running it as a pilot
23 plan?

24 MR. WESTER: Yes, it's a pilot plan.

25 MS. PETERFREUND: Kind of a continuous use

1 so it's beyond --

2 MR. WESTER: Yeah.

3 MS. PETERFREUND: -- just a small issue.

4 MR. WESTER: That's why I can't answer how
5 much has been done because the current contractor
6 won't release it.

7 MS. PETERFREUND: Yeah. The materials that
8 they're treating, what they're actually doing there
9 at Rocky Flats, there's very little information
10 available publicly.

11 MR. MILLER: Is it a privately-funded
12 endeavor? The pilot scale developed at Rocky Flats
13 was funded by the Department of Energy money; is that
14 correct?

15 MS. PETERFREUND: It is.

16 MR. WESTER: It is, yeah.

17 MR. SOBOTKA: Then that's information
18 that's available.

19 MR. MILLER: Absolutely.

20 MR. WESTER: Well, because of the process
21 and the nature of the work at Rocky, the current
22 contractor is continuing to hang onto the
23 classification that doesn't allow that information to
24 be freely disseminated.

25 MR. MILLER: When we administered the

1 Clemson contract all that information had to be
2 available for scrutiny, and indeed it was, and we
3 could not use technologies that were proprietary for
4 that very reason.

5 MR. WESTER: Well, the technology you're
6 going to be using is borne out of that technology.
7 It's not the technology --

8 MR. MILLER: That was actually --

9 MR. WESTER: It's not the equipment coming
10 out of Rocky Flats. Absolutely not.

11 MS. PETERFREUND: It's the concept that's
12 coming out. There's been enhancements by --

13 MR. WESTER: CET.

14 MS. PETERFREUND: -- CET since then.

15 MR. MILLER: So that particular enhancement
16 then has never been run at a pilot or field scale
17 demo where you could establish cost and productivity
18 and volume reduction numbers. It would be really
19 helpful I think to have that kind of data on the
20 exact technology that's being proposed.

21 MR. WESTER: This is on that exact
22 technology that's being proposed.

23 MR. MILLER: Okay.

24 THE FACILITATOR: I thought I remembered a
25 reference to Savannah River from when the CET was

1 first here or perhaps even --

2 MR. WESTER: Not to compare it because
3 that's in-situ vitrification.

4 THE FACILITATOR: I see. So there is no
5 model that can be looked through; is that correct?

6 MR. SCHERZINGER: When I asked Dr. Golden
7 for technical information on -- he said it's either
8 proprietary or classified. Excuse me, I'm losing my
9 voice. We have three people on our staff who have
10 DOE classification clearance so if that information
11 could be provided to them they could evaluate it.

12 MS. PETERFREUND: Do they have to request
13 it or --

14 MR. SCHERZINGER: Well, I'm requesting it
15 for them.

16 THE FACILITATOR: As of now?

17 MR. SCHERZINGER: As of now.

18 MS. DREY: Well, I had the same experience
19 this morning with the man here from Minnesota. You
20 know, I asked them about it and they said they
21 couldn't tell me anything because it was proprietary
22 even though it was DOE-SAIC.

23 MR. MILLER: Hold on there.

24 MS. DREY: Why did I need to do?

25 MR. MILLER: That's how he billed it but I

1 would like to clarify that at this point. He's been
2 on the phone to me asking how he would work a
3 proposal through to the Task Force and the Department
4 of Energy, that's what I've been providing him advice
5 with. They also requested all the Clemson
6 documentation and we sent that on to them too.

7 The last time that I heard anything that
8 they were proposing to do was to develop some sort of
9 chelate base extraction. As far as turning it all
10 into a salt, I haven't heard anything about that
11 until this morning. And turning it into a
12 nonradioactive salt defies -- unless you have a small
13 reactor.

14 THE FACILITATOR: I think that ought to be
15 in our recommendation then.

16 MR. MILLER: Okay.

17 MR. SCHERZINGER: And David Copperfield is
18 their CEO.

19 MR. MILLER: But I think -- I'd like to
20 just clear that up, that we've been helping them
21 learn the pathway of getting a proposal to DOE for
22 treatment technology, just like we would anybody
23 else. We're not helping them develop a technology of
24 any sort, nor do I really have the details of that
25 except that I know that they were very interested in

1 the chelating work that went on at Clemson.

2 MS. DREY: How did they hear about the
3 meeting this morning?

4 MR. MILLER: They attended a vendor forum
5 for treatment technologies in Oak Ridge several
6 months ago, I can't remember the exact date, where
7 they learned about the fact that the Task Force meets
8 on a monthly basis. And so they were very interested
9 in this activity and they also were based in St.
10 Louis so it may be that they're --

11 MS. DREY: They're based in Minnesota
12 actually.

13 THE FACILITATOR: They have a partner here.

14 MR. MILLER: Well, it was initiated in St.
15 Louis and I think they subcontracted a lab in
16 Minnesota to actually develop some sort of
17 technology.

18 MS. PRICE: And they were Central what?

19 THE FACILITATOR: West Central
20 Environmental. They also called me. They've been
21 calling me for months and I'd also told them the
22 dates and place for the Task Force meetings.

23 MR. BINZ: Jim, I think simultaneous to the
24 time they were talking to you, Larry Goodwin had
25 contacted me at work as well. I think he was just

1 going right down the list of Task Force members and
2 he was trying to -- my impression was -- find a way
3 to market to the St. Louis opportunity. I made a
4 quick phone call to Jim Grant and more or less passed
5 people from Kiesel on to SAIC and that's where it's
6 been as far as I know all this time.

7 MR. MILLER: After Tom had them call us, we
8 told them about this vendor forum where they learned
9 a lot about things.

10 MR. GRANT: Well, I chatted with them after
11 the meeting. They were aware of this meeting and I
12 even offered to them if they wanted to come here and
13 have ten minutes or fifteen minutes to say something
14 they were welcome to and they said they weren't ready
15 to.

16 (MR. WESTER: Going back to the question on
17 the information, I believe the information that Jeff
18 and Bob Martin gave out in the first meeting had the
19 information you want in terms of its technical
20 performance with the modification.

21 MR. MILLER: Good.

22 MR. WESTER: I'm almost positive it was in
23 there because there's a lengthy discussion on that
24 technology and it is part of what they have offered
25 as the enhancement and have proven to the extent that

1 it's being pursued.

2 MR. GRANT: Are you talking about this here
3 or a previous meeting we had? This was a write-up --

4 MR. WESTER: No, no, not on cost. No, on
5 performance.

6 MR. GRANT: Okay.

7 MR. WESTER: It's the initial document.

8 MR. GRANT: Okay.

9 MR. WESTER: Yeah, I'm almost positive
10 that's in there. The items that won't come out are
11 those that I'm thinking DOE has still held as
12 classified and if there's other information there
13 that's there, that's fine, but I think what you may
14 be looking for is performance criteria as CET sees
15 it, not as Kaiser-Hill sees it.

16 MR. SCHERZINGER: I'm looking to evaluate
17 the technology based on technical information and
18 data -- the tests that were run, the assumptions
19 made, the formulas utilized.

20 MR. WESTER: It may be as quick as a phone
21 call to Jeff if you don't already have it.

22 MS. DREY: I just feel I'm not qualified to
23 make any kind of judgment on any technologies. I
24 think maybe if we want to limit this just to
25 radiation --

1 MR. GRANT: Chelating technology.

2 MS. DREY: But if you want to just deal
3 with people who have an engineering degree in
4 something maybe, you know, you feel that's
5 appropriate. But I thought -- didn't you say that
6 there has been -- this is a technology that to some
7 extent has been developed by DOE?

8 MR. WESTER: Yes.

9 MS. DREY: Could you explain that?

10 MR. WESTER: Completely. That's exactly
11 what I'm saying.

12 MS. DREY: Well, then it's up for grabs
13 nationwide, anybody can do it?

14 MR. WESTER: No.

15 MS. DREY: Well, then where does Mr.
16 Golden, where does he fit into this or his company?

17 MR. WESTER: Well they have arranged with
18 DOE to become the commercial arm for that
19 technology.

20 MS. DREY: Nobody else does?

21 MS. PETERFREUND: There were eighty people
22 that applied.

23 MS. DREY: Okay.

24 MS. PETERFREUND: And they put out an
25 advertisement that a certain technology is available

1 for a -- technology transfer initiative and I believe
2 there were eighty companies who applied to be that
3 commercial partner and the CET group was the one that
4 was chosen to do that.

5 MR. SOBOTKA: But there must be a public
6 document, DOE document, that details all the work
7 done by DOE itself in developing the technology that
8 you can get that will describe it in detail except
9 for any enhancements made by the private contractor,
10 that must be something that we could all get and
11 read.

12 MS. DREY: Well again, I guess it seems to
13 me that this committee -- I think it's important that
14 we've looked at the various technologies but I
15 personally feel in this kind of decision that we have
16 to defer to the Department of Energy.

17 I don't think we're responsible for coming
18 in on the cheap, you know, having a cheap
19 technology. I think what we're responsible for is to
20 say what we want done. And if there is no technology
21 to do what we want done, then it won't be done, but I
22 don't see how we, except for maybe you and a few
23 engineers, can assess this.

24 MR. GRANT: Kay, getting back to maybe what
25 Jim talked about earlier in terms of focus, I mean

1 we've got some preliminary cost estimates that show a
2 cost-neutral situation and it could vary a little bit
3 based on the volume reduction, cost of disposal.
4 We're asking a lot of questions about the technology
5 and the question is where do we go from here.

6 MR. SCHERZINGER: Well --

7 MR. GRANT: You know, either we feel that,
8 gee, it's cost neutral therefore, gee, it's not worth
9 doing it at this point in time based on the
10 information we have, although even being cost neutral
11 there are some benefits to the situation -- the
12 volume of material disposed, the stability of the
13 material if there's a glass being formed, or is there
14 enough uncertainty here or do we see enough benefit
15 with some further work that we could see, you know, a
16 cost savings or a benefit beyond that and that's what
17 we're going to recommend.

18 The other thing that was brought up before
19 was, hey, you know, if we stabilize this material and
20 there's some sort way of putting it back in the
21 ground and not shipping it to Envirocare or someplace
22 we could save that cost, you know.

23 MR. SCHERZINGER: But this whole thing
24 brings up a series of other questions like what do we
25 do with it afterwards, will the two licensed disposal

1 facilities accept this waste in these blocks or will
2 it be crushed and then you lose all you've gained.
3 Or will the Nevada Test Site take it? They took
4 Fernald site waste at a much lower a price and, you
5 know --

6 MR. SOBOTKA: Why? Why did they take it at
7 a lower price? Because it was vitrified or for some
8 other reason?

9 MR. SCHERZINGER: Because it's not a
10 commercial facility. It's a DOE facility. Am I
11 correct?

12 MR. MILLER: Which one are you speaking
13 about?

14 MR. SCHERZINGER: Nevada Test Site.

15 MS. DREY: From Fernald.

16 MR. MILLER: They're pretty much closed to
17 taking any other that waste as far as I understand.
18 I don't know what's --

19 MR. SCHERZINGER: Even vitrified?

20 MR. MILLER: -- arranged for from Fernald.
21 I don't know. I'm sorry, I have no idea. You're
22 right, they are a DOE site.

23 MS. DREY: They were planning to send the
24 waste out from the silos out to the Nevada Test
25 Site. And those wastes are from St. Louis and those

1 are the hottest wastes they have at the moment and so
2 they were going to send them to the Nevada Test Site.

3 THE FACILITATOR: We do have
4 representatives here from both Envirocare and Dawn
5 Mining. I don't know whether they're prepared to
6 respond to the question or even understood the
7 question but --

8 MS. DREY: There are two licensed
9 facilities that accept these vitrified wastes.

10 MR. GRANT: Logs or blocks.

11 MR. SCHERZINGER: We were talking about
12 blocks due to the fact of volume reduction if you --

13 MR. GRANT: Stackability.

14 MR. SCHERZINGER: -- put a bunch of logs
15 together then you have big void spaces that you're
16 paying for whereas if you have one big block there
17 are no void spaces.

18 MR. GRANT: I guess the real question,
19 Dave, is would the waste form -- dictate a different
20 cost in tipping fees or disposal fees.

21 MR. MILLER: I don't know.

22 MR. GRANT: As opposed to just volumetric
23 in nature.

24 MR. WAGONER: Envirocare is licensed -- I
25 think they're licensed to take such waste. I don't

1 know about the cost.

2 MS. DREY: What about Dawn Mining?

3 MR. MILLER: I can make one comment as to
4 our existing contract is we can't have anything more
5 than ten inches in the minimum dimension for the soil
6 disposal -- to get the soil disposal fee. Over and
7 above that, it's a debris rate that is considerably
8 higher. About two and a half times I think; two, to
9 two and a half times higher per cubic yard.

10 MR. WAGONER: But, again, if Envirocare
11 were going to shoot something at you like that we
12 need to know the volume.

13 MR. MILLER: Sure.

14 MR. WAGONER: I mean if there's going to be
15 lots and lots of it we can probably make a better --

16 MR. MILLER: There's probably a way to
17 accommodate these forms but --

18 MR. WAGONER: But I don't think anybody is
19 prepared at this point to make a statement about what
20 we do until we see a little more detail.

21 MR. GRANT: Well, I mean, there's some
22 reasons why the debris costs are higher in terms of
23 compaction and all that whereas here you're dealing
24 with solid blocks that could be stacked closely.

25 THE FACILITATOR: Tom Shepherd, do you have

1 anything to add?

2 MR. SHEPHERD: The only limitation we have
3 at Dawn is a concentration level and knowing the
4 quality of material here I don't think a 50 percent
5 reduction in volume, a 100 percent change in
6 concentration, would limit us. And I don't -- I
7 believe the physical form would be created, I have a
8 problem.

9 MS. DREY: I guess one of the things that
10 appealed to me about vitrification is, first, these
11 materials -- well, first, in terms of having the
12 frozen border on the sides and under this so that the
13 contaminated groundwater would not be leaving the
14 site while the excavation is going on.

15 But it seems appealing to be able to not
16 have wet sludges travelling across the country,
17 that's what I felt was very helpful. And also I
18 guess you were talking about using some kind of
19 plastic cover so that the radon gas and the
20 radioactive dust would not ultimately go off-site.

21 I don't know. Lee, know you're talking
22 about having -- if we were to vitrify, either do
23 in-situ and leave it there or do ex-situ
24 vitrification and leave it there, what does that
25 mean, do we also do this over at Latty Avenue and

1 have a site there, do we have a site at West Lake
2 Landfill, do we have a site downtown? Where do we
3 get it out of metropolitan St. Louis?

4 MR. SOBOTKA: Actually, I wasn't thinking
5 of in-situ anything but just once you have the blocks
6 it's not so clear that they have to be shipped.

7 MS. DREY: Yeah, but then do we put them
8 all -- I know when they tried to --

9 MR. SOBOTKA: I don't know.

10 MS. DREY: -- have the waste at the airport
11 site not solidified it was going to take 82 acres to
12 take the waste from downtown Mallinckrodt, Latty
13 Avenue and the airport site.

14 MR. GRANT: Kay, there's some other -- you
15 know, we've always got into this situation where
16 we're going to dig everything up and send it some
17 place or we're going to vitrify everything, part of
18 the consideration it could be a mix of technology.
19 In other words, you could do some things, take the
20 hot spot material the way it is, the hottest material
21 send it some place, vitrify. Another is level of
22 concentration material that could be held in place,
23 you know. There wouldn't be as many curies or
24 radioactivity there, so you need to mix and match
25 some of these different things and come with a

1 scenario that might be more palatable than just
2 taking the hottest stuff and vitrifying it and
3 putting it back in place.

4 MS. DREY: Yeah. I guess one thing that --
5 you know, the problem is we met early and tried to
6 come up with what were the standards that this Task
7 Force wanted to follow. You say it would have to be
8 millions of curies before it would give you any
9 pause. Didn't you say megacuries? Is that
10 millions?

11 MR. SOBOTKA: Yes. In the glass?

12 MS. DREY: Uh-huh.

13 MR. SOBOTKA: Well, I'd say they are --

14 MS. DREY: Or what about --

15 MR. SOBOTKA: -- vitrifying that level of
16 activity in glass.

17 MS. DREY: Well, I think that we did decide
18 at one meeting down at the Washington University
19 Medical School that we would like to comply with the
20 Department of Energy's standards so if you got 20,000
21 picocuries per gram at the airport instead of five
22 and fifteen something probably has to be done. I
23 mean, we just can't leave it there.

24 MR. SOBOTKA: Yeah. So what's the point?

25 MS. DREY: Well, I guess I'm asking you --

1 the numbers, five and fifteen, five picocuries per
2 gram on the surface; top, six inches and fifteen
3 picocuries per gram below --/

4 MR. SOBOTKA: For totally unrestricted use
5 --

6 MS. DREY: Right.

7 MR. SOBOTKA: -- they're probably a little
8 conservative.

9 THE REPORTER: Excuse me, you need to talk
10 louder, you're fading.

11 MR. SOBOTKA: Probably attainable, but
12 conservative. But not everything has to be totally
13 unrestricted. That's where we may differ.

14 MS. DREY: Yeah, and I guess this is --

15 MR. SOBOTKA: And there are a lot of
16 natural areas that would fail the five and fifteen
17 that are totally -- well, that up to recent times
18 would be unrestricted areas and they're totally
19 natural.

20 THE FACILITATOR: One new development
21 probably since you were last actively involved in
22 these discussions, Lee, is that the Task Force has
23 gone through a process of, first of all, defining
24 four option scenarios, remedial option scenarios, for
25 each site and then really defining them quite tightly

1 and then electing a preference among the four.

2 MR. SOBOTKA: Yeah, I saw that.

3 MR. SCHERZINGER: I'd like to clarify that
4 that's five and fifteen above background. You know,
5 it's granted there are areas in this state that do
6 grant an outcrop, do have a higher background than
7 others.

8 MR. SOBOTKA: Yeah.

9 MR. SCHERZINGER: But, you know, we have
10 imposed a limit of contamination above background
11 that is acceptable.

12 MS. DREY: Elsa, could you describe --
13 could you make your little speech, which you've done
14 before, about the state's position --

15 MS. STEWARD: The state's position?

16 MS. DREY: Yeah, on the airport site on
17 whether we can leave the stuff in the groundwater.

18 MS. STEWARD: Yeah, okay. Our position is
19 more goal orientated than our trying to promote a
20 particular remediation method or technology. And our
21 goal is to -- one of our goals, one our major ones is
22 to protect groundwater from any further contamination
23 and to decontaminate the groundwater that is
24 contaminated.

25 And we realize that it may be feasible

1 technologically to leave the waste on-site if it were
2 placed in an engineered cell which would prevent it
3 from having contact with groundwater. So, you know,
4 we're not ruling that one out.

5 MR. GRANT: What if we sort of --

6 MS. STEWARD: We're not particularly in
7 favor of it either.

8 MR. GRANT: -- why don't we, you know,
9 stabilization by vitrification --

10 MS. STEWARD: I think if --

11 MR. GRANT: -- material very compact and
12 would reduce its solubility.

13 MS. STEWARD: -- I think if we were
14 convinced that it was chemically inert and so it
15 wasn't going to migrate and cause any contamination
16 that it might meet our goal criteria.

17 MS. PETERFREUND: So what's the definition
18 of an engineered cell?

19 MS. STEWARD: Well, it's one -- actually we
20 shouldn't say engineered, we should say engineered to
21 certain specifications, and the two primary
22 characteristics that this kind of a cell has is it
23 has a double synthetic liner and it has a method for
24 analyzing and collecting leachate, which could be
25 produced by one of these cells. And these

1 requirements are in the regulations to Subtitle C of
2 the Resource Conversation and Recovery Act and they
3 were originally intended for hazardous waste
4 landfills.

5 MR. MILLER: Elsa, has anybody that you're
6 aware of in the state of Missouri considered the
7 special conditions for radioactive materials given
8 the long-lived nature of them that a double synthetic
9 liner and leachate control system perhaps could be,
10 you know, lost to the system --

11 MS. STEWARD: Yeah, compromised over time
12 and --

13 MR. MILLER: -- and there might be over
14 designs that could better contain radioactive wastes.

15 MR. SCHERZINGER: The EPA came out with a
16 position on the RCRA cell that although their
17 designed for a thousand year life with the
18 engineering that goes into it, even after the
19 man-made synthetics degrade away they will still have
20 a 10,000 year life span. So, I mean, this is the
21 EPA's evaluation of the Subtitle C RCRA designed
22 landfill.

23 MR. MILLER: Well, why not just get rid of
24 that expensive liner system and go to the design
25 that's giving you the 10,000 year design life, that's

1 kind of my question on it.

2 MR. SCHERZINGER: It's cheaper using the
3 synthetic.

4 MR. MILLER: Oh, it is.

5 MR. SCHERZINGER: Because, I mean do you
6 want to do two, three-foot compacted --

7 MR. MILLER: Clay.

8 MR. SCHERZINGER: -- clay and then two sand
9 filters?

10 MR. MILLER: So what you're saying is they
11 reduce the --

12 MR. SCHERZINGER: Using the geosynthetic
13 liner as one of them and the Geonet has the
14 equivalent of one foot of sand, you know, for one
15 leachate collection system, it's considerably cheaper
16 than going to the compacted clay in both. And, you
17 know, you'd probably end up with the same lifetime of
18 the cell. The only thing is the geosynthetic liner
19 will allow you some flexibility should there be earth
20 movement. The stretch and pull would allow you to --
21 the liner to stay together as long as the movement
22 wasn't too drastic and allow you to go away and
23 repair whereas if you had a compacted clay liner that
24 moves might cause the whole cell to fail at one
25 time.

1 THE CHAIRPERSON: Like in the event of an
2 earthquake?

3 MR. SCHERZINGER: Exactly.

4 THE FACILITATOR: You'd be right back to
5 square one.

6 THE CHAIRPERSON: I just don't understand,
7 I'm sorry.

8 MR. SCHERZINGER: A major earthquake.

9 MR. SOBOTKA: But in these catastrophic
10 events is where if the material was vitrified,
11 independent of any extra features around it which I
12 actually couldn't see a need for in the first place, you
13 would remove the problem. So it stands out.

14 MR. SCHERZINGER: Right.

15 MR. SOBOTKA: It seems that the selling
16 point in a test program is the potential for not
17 shipping.

18 MR. MILLER: And not having to do double
19 leachate lining.

20 MR. SCHERZINGER: Well, you'd most likely
21 end up in a Subtitle D, which is the special waste
22 landfill, which is also double lined.

23 MR. MILLER: Well, I think we're getting
24 ahead of ourselves on this one.

25 MR. GRANT: Yeah, I guess --

1 MR. MILLER: But there are some advantages
2 to be made.

3 MR. GRANT: I think discussion is good
4 here. What I seeing here is we've a lot of questions
5 and not a lot of answers. And one approach to this
6 could be to say we would like to get answers to these
7 questions. In other words, we don't have to make a
8 final decision today and say vitrification is in or
9 out, particularly if we have a lot of questions.

10 What we could say is that we see some
11 advantages to this technology and there are some
12 questions and we want to put together a program to
13 answer those questions or get more information. You
14 know, it's a logical step-wide basis.

15 One way is to try and see if we can get our
16 hands on the DOE information that's supposedly
17 classified or whatever. Another might be to -- if
18 there was some testing that needed to be done or
19 something like that, we could do that and help answer
20 questions and move along on our program. Yes, Dave.

21 MR. WAGONER: One of the things I was going
22 to say a minute ago is Envirocare has told DOE that
23 we'd be willing to pilot test. I mean, we'd like to
24 see the volume reduced somehow if there's something
25 that will do it. We'd be willing to pilot test

1 something if that was what you folks wanted us to
2 do.

3 MS. PETERFREUND: What was the response?

4 MR. WAGONER: I mean, we haven't gotten a
5 response that has been proposed to the DOE. I mean,
6 I just wanted this group to know, not only this but
7 anything else that has promise, we'd be willing to --
8 we've got this material, we could probably do this,
9 so you wouldn't have to be ship any of it.

10 THE FACILITATOR: You've got some already?

11 THE CHAIRPERSON: I wasn't here obviously
12 at the beginning but one of the methods I like about
13 it is due to the volume reduction. We're trying to
14 lobby, which is L-word mentioned today, for money.
15 Anyway, the fact that, you know, if we're going to
16 try and sell this on a national scale, then we can
17 use the fact that we're not using a national
18 repository such as Envirocare or Dawn. I mean, if
19 you reduce the volume that you're going to dump, not
20 only to save costs for ourselves but for the fact on
21 a national scale you've got people realizing that
22 you're trying to do something that benefits the
23 country as a whole in the long run. I mean, we all
24 just can't be dumping soil out there, we'll run out
25 of room. So that's what I like about it.

1 MS. PETERFREUND: In all the conversations
2 that I've heard in Washington like this presentation
3 that Jim Owensburg did where he's talking about
4 taking these kinds of programs to a performance base
5 which to me is kind of what we were talking about
6 morning whether you want, you know, Option I, II or
7 III, and then, you know, kind of letting market
8 forces, you know, drive how you solve that.

9 And I kind of saw this committee as coming
10 up with a list of things that were reasonable and
11 feasible, not that we go necessarily into the final
12 court saying this is what you do, but these are the
13 things that, you know, look like they've got
14 potential that would reduce the cost and allow us to
15 meet those performance sets that the community wants.

16 THE FACILITATOR: I was thinking a few
17 minutes ago, and I don't remember who was speaking,
18 about what the recommendation to the Task Force might
19 be. I was thinking about that as well as the next
20 which is really right behind that, that is, what do
21 we say in the first draft of a final report to DOE
22 and what do we say by the end of September in what
23 will presumably then be our final draft, or final
24 report.

25 We could speak in terms of possibilities

1 that have been put on the table. And if we don't
2 have answers to those questions surrounding the
3 possibilities now, we could identify the questions
4 and say if the answers were to prove to be
5 satisfactory then this is something we think ought to
6 be given serious consideration. And we could
7 identify what the questions are and why we think
8 ultimately there may be some benefit.

9 Lee has raised the question, although I
10 know Kay doesn't agree at this point, but Lee has
11 raised the question of whether if vitrification makes
12 sense on its own merits, if it works with what we've
13 got in the way of soils, if it works with the
14 moisture content in the good part of SLAPS, if it
15 could be demonstrated that it works, then in Lee's
16 mind it opens up the question of whether we even have
17 to consider transporting the material.

18 In Kay's mind, at the moment, it indicates
19 the potential for solving a problem that is related
20 to transportation and disposal and in the minds of
21 the two repositories that we have been talking about
22 most often there may be issues that could be
23 addressed and answers developed that would be helpful
24 one way or another.

25 And there are other possibilities as well.

1 There is a potential for cost savings, there is
2 safety factor. If it were cost neutral and it
3 somehow made sense to transport, the advantage may
4 just be that it's safer to get it there. If there is
5 an accident there is less likelihood of exposure.
6 And once you're there you've got the volume reduction
7 so you're not using up the resource, the capacity as
8 quickly as possible.

9 I think what we need to do is identify as
10 many of those issues as possible, express our
11 thoughts about those issues and then say we think
12 this has some potential, great potential, whatever,
13 and therefore we recommend the following. That
14 shouldn't be a hard thing to get to.

15 MS. DREY: Well, I think it's good to raise
16 the question. I also think that -- I had introduced
17 a motion at the last Task Force meeting, which I'd
18 like to think is coming up next week, and I don't
19 think we have to say what technology we want. I
20 don't think that's our responsibility, nor are we
21 capable of doing it.

22 I mean, I can't access even the cost of,
23 you know, the estimates, the volume. We just had the
24 same experience happen with dioxin just within the
25 past week where the volume is greater that they

1 projected. That can happen.

2 And I guess, Sally, when I heard about this
3 ex-situ vitrification, I've never been for in-situ
4 because I don't trust it enough. As a matter of
5 fact, I have a lot of documents about other people
6 having concerns about cracking and stuff and when
7 you're talking about --

8 THE REPORTER: I'm sorry, I didn't hear
9 what you said.

10 MS. DREY: I'm sorry. When you're talking
11 about a four and half billion year half-life or a
12 14.1 billion year, you know, half-life if you -- you
13 raised some questions, you know, all along that I
14 thought were very legitimate. Like what about
15 shipping the stuff when it's wet, what about digging
16 it up if it's in the flood plain, you know, what's it
17 going to do, and I was very excited hearing about
18 both the possibility of having this frozen border,
19 but also I think it would be a great deal safer to
20 ship this solidified material that wouldn't have as
21 much liquid. I mean, it wouldn't even be allowed, to
22 ship liquid and I guess out to Envirocare or to Dawn
23 Mining, they have restrictions on a percentage of the
24 moisture.

25 But, you know, I personally feel that this

1 coming Tuesday I will the reintroduce the motion to
2 clean up the airport site and I think not tie it to
3 any technology but just say to the DOE this is where
4 we are. And I think devising a list of questions,
5 and particularly with Lee here to help us, I think it
6 would be great to do that.

7 MS. PETERFREUND: You're always going to
8 have questions because, I mean, based on what we know
9 from the original survey of the property it's a very
10 broad kind of boundary survey so there would have to
11 be assumptions in anything and you're not going to
12 know until you actually get out there and do some
13 trials and demonstrations and really put it to the
14 test.

15 THE FACILITATOR: Well, what I was getting
16 at earlier when I was speaking to Lee about recent
17 developments in the Task Force is that a while ago,
18 six months ago and earlier than that, there was an
19 issue about whether the waste at the airport site, in
20 particular, ought to be excavated or not.

21 And then we changed the word to exhumed and
22 then we decided as a group, the consensus attitude at
23 the moment, is that yes, indeed, that waste must be
24 picked up out of the groundwater at least. And the
25 preference of most of the people who have expressed

1 themselves in the Task Force is not only must it be
2 removed from the groundwater but it must be removed
3 from the metropolitan area because of perceived
4 health risks.

5 MS. DREY: Not necessarily perceived.

6 THE FACILITATOR: Well, at least --

7 MS. DREY: Because of health risk.

8 THE FACILITATOR: Health risk is --

9 MR. SOBOTKA: So if it's vitrified you're
10 worrying about it falling on you. That's a health
11 risk?

12 MS. DREY: No, I mean, I just don't like
13 perceived health risk.

14 THE FACILITATOR: I'm sorry, I --

15 MR. SOBOTKA: So what's the health risk
16 when it's in a glass block? It's a health risk from
17 --

18 MS. DREY: Well, that's a legitimate
19 question.

20 MR. SOBOTKA: -- falling on you? Is it the
21 risk of it falling on you?

22 MS. DREY: No, I guess when you're --

23 MR. SOBOTKA: Because that is the risk.

24 MS. DREY: That is a risk.

25 MR. SOBOTKA: That is the risk.

1 MS. DREY: Well, it could also crack and
2 the radioactive --

3 MR. SOBOTKA: So it cracks.

4 MS. DREY: -- gasses can get out and
5 radioactive dust particles. It could crack.

6 MR. SOBOTKA: So it cracks.

7 THE FACILITATOR: It's still glass.

8 MS. DREY: You know, I --

9 MR. SOBOTKA: Then you have two.

10 MS. DREY: Well no, it can shatter also.

11 MR. SOBOTKA: And then you can worry about
12 cutting yourself on it.

13 THE FACILITATOR: All right. The point is
14 that the decision has been -- or the conclusion has
15 been gotten to that this material must be dealt with
16 and there is a strong sentiment that it be dealt with
17 in a way that removes it from the community. So now
18 we're back --

19 MR. SOBOTKA: My point here is not that I'm
20 an advocate of vitrification, but rather when you
21 have a technology you're examining you have to look
22 at the broad spectrum. And the issue from your
23 vantage point that the material when its exhumed it
24 must be removed rather than be put in an engineering
25 structure because of long-term health effects, that

1 picture does change if it's vitrified.

2 MR. SCHERZINGER: My personal opinion that
3 is that once you've exhumed the waste, and should you
4 vitrify it, would be the responsible thing to do to
5 consolidate it all in one area. So -- it would also
6 be irresponsible to put it in contact with
7 groundwater.

8 I mean I agree with you vitrified material
9 -- glass is glass. So, I mean, it's stable, it's
10 relatively safe. The only radionuclide subject to
11 migration are those on the exterior. Dr. Golden said
12 that they're ionically bound.

13 MR. SOBOTKA: It's not much anyway.

14 MR. SCHERZINGER: Pardon me?

15 MR. SOBOTKA: It's not much anyway.

16 MR. SCHERZINGER: Yeah.

17 MR. SOBOTKA: A big block.

18 MR. SCHERZINGER: But, I mean --

19 MR. SOBOTKA: It's really not much to start
20 with.

21 MS. DREY: See, that's where we have this
22 problem. It's above DOE's standards. Twenty
23 thousand is more than five.

24 MR. SCHERZINGER: But the exposure to the
25 ionic radiation can pose a health hazard so therefore

1 consolidate the material if it's vitrified. I mean,
2 that way we can keep an eye on all of it at one
3 time.

4 THE FACILITATOR: Well, we're getting
5 beyond anything we can hope to deal, it seems to me,
6 in a final detailed way by September 24, much less
7 next Wednesday.

8 MR. GRANT: Well, Jim, I think what you
9 suggest --

10 THE FACILITATOR: Tuesday.

11 MR. GRANT: -- something like you've
12 suggested is about as far as we're going to get. And
13 I think it's appropriate, and I don't know, does
14 everybody agree with that?

15 MS. PETERFREUND: About what?

16 MR. BINZ: Developing a list of pros and
17 cons, you mean?

18 MR. GRANT: Right. Well, I'm talking about
19 here is the technology, or some questions about it,
20 that need to be answered. Whether or not we can get
21 it from the classified DOE data or whether some field
22 tests need be done or bench tests or something to
23 answer those questions, that's one thing related to
24 cost.

25 Other comments have been made well can we

1 do -- if we have this stable form could we do
2 something with it differently than sending it away in
3 some manner and if it's stabilized in such a way that
4 we could -- I mean, you wouldn't have to put it back
5 in the groundwater, you could put it out of the
6 groundwater or something. But maybe that's something
7 we could follow up on too.

8 But we're not going to get that answered
9 today. Everybody doesn't happen to agree with that
10 point of view either.

11 MS. DREY: Uh-huh.

12 MR. GRANT: But maybe we could come up with
13 some recommendation to the broader committee along
14 the lines that was stated here. We've got some
15 options. I don't know. We've got some possibilities
16 here that we can move forward with to answer some of
17 these questions. And if things work out -- great.
18 You know, we can use the technology.

19 MR. SOBOTKA: One question I'd like to get
20 answered at some point is if one took the
21 vitrification route in the selection of the material
22 then perhaps in preparation of the material for
23 vitrification, are you in an improved situation to
24 reject stuff for vitrification because it just
25 doesn't need to be in the sample at all because it's

1 below five.

2 MR. WESTER: Yes. /

3 MR. SOBOTKA: Improved over alternatives,
4 okay, and just -- okay. So I suspect that's the case
5 because you have to --

6 MR. WESTER: Right.

7 MR. SOBOTKA: -- you have to determine the
8 material --

9 MR. WESTER: You're also doing on-site
10 quantitative analysis.

11 MR. SOBOTKA: Right.

12 MR. WESTER: In-situ.

13 MR. SOBOTKA: And the issue is -- and
14 that's not factored in here because all we're talking
15 about is the potential of --

16 MR. WESTER: Although the technology
17 brought to the board -- to this group --

18 MR. SOBOTKA: Right.

19 MR. WESTER: -- for inclusion as well as
20 the LAN spectroscopy (laser ablation nebulization)
21 spectroscopy.

22 MR. SOBOTKA: Different sites will have
23 different amounts of material that might pass and it
24 would be interesting to know what fraction of
25 materials would likely pass different levels,

1 five-fifteen or fifty-fifty, would pass and therefore
2 never have to be vitrified and not relocated at all.

3 MS. DREY: Do you remember what the
4 millirem dose is at the point of the pentagon shape
5 of the airport if you're driving by, millirems per
6 hour.

7 MR. MILLER: I know if you're driving by --

8 THE REPORTER: I'm sorry, I can't hear you.

9 MR. MILLER: I'm sorry. I know when you've
10 driving by the curve in the road, you have four to
11 five times background in counts per minute on the --

12 MR. SOBOTKA: So you might be getting the
13 dose that you would get in Mexico City.

14 MR. MILLER: Or an airplane.

15 MR. SOBOTKA: Or an airplane.

16 MR. GRANT: Well, another --

17 THE FACILITATOR: Sally has had her hand up
18 for quite a while.

19 THE CHAIRPERSON: Are you suggesting that
20 this would be an addendum report to our report?

21 MR. GRANT: No. I mean, it could be done
22 in a variety of ways. I was thinking it would be a
23 part of the report. Weren't you, Jim?

24 THE FACILITATOR: Well, I was think it
25 would be two-step process. One, there would be

1 recommendation.

2 MR. GRANT: That's right.

3 THE FACILITATOR: Report and recommendation
4 to the Task Force as soon as possible.

5 MR. GRANT: Right.

6 THE FACILITATOR: There would be the
7 opportunity for the Task Force to absorb that
8 information, to ask its own questions, to come to its
9 own conclusions and to develop whatever it believes
10 ought to be included in the final report to the
11 Department of Energy in the way of recommendations
12 concerning technologies and technological approaches
13 to solving this problem.

14 MS. PETERFREUND: It's technologies that
15 they should consider, right?

16 THE FACILITATOR: Exactly. And why, it
17 seems to me.

18 MS. PETERFREUND: Right.

19 THE FACILITATOR: And it doesn't do as much
20 good simply to say here's something we think you
21 ought to consider as it would to say here's what we
22 think you ought to consider and here's what we think
23 may be possible to achieve.

24 MS. PETERFREUND: Right. And also
25 summarizing, as Mitch did when we first started,

1 about the other ones that we looked at, that we ruled
2 out, and why we ruled those out.

3 THE FACILITATOR: Exactly. We have to do
4 that. I mean we've started with that, I think.

5 MR. MILLER: This is a perfect segue for
6 what I wanted to say. I'm going to go back in kind
7 of the big picture of why we're meeting and what
8 we're trying to accomplish here. And it seems to me
9 that there are certain things about not only
10 microwave vitrification technology but the laser
11 ablation spectroscopy technology which I actually
12 prefer to view as two components because I think the
13 laser ablation spectroscopy offers a very broad range
14 of assistance in this problem. That's digressing.

15 MS. DREY: Is that to analyze prior --
16 Lee's question --

17 MR. MILLER: Yeah, it's basically --

18 MS. DREY: -- how do you know which soils
19 you have to treat?

20 MR. MILLER: Right. Which soils you have
21 to do anything with is the question. But let me go
22 back to the bigger picture.

23 What I think would be a strong component of
24 your recommendation to the Department of Energy is
25 how much emphasis should be placed on treatment, what

1 are appropriate roles for the Department of Energy to
2 play in developing these treatment technologies that
3 show promise and what are the kind of things that you
4 find favorable.

5 Using perhaps vitrification technology as
6 an example, what is it attractive about these things,
7 and they may be some technologies that you want to
8 carry down the road, so that when other technologies
9 make themselves available in the however many years
10 it's going to take to clean the sites up, that they
11 are recognized for their benefits based on what you
12 have recommended to this point.

13 MR. SOBOTKA: This is why I disagree with
14 the motion you have on the table because I think DOE
15 would be more receptive to giving money to a project
16 that has as its goal the proving or disproving of
17 technology and the possible aspect --

18 MS. DREY: Yeah, well --

19 MR. SOBOTKA: So if you just say, oh, I
20 want a \$100 million --

21 MS. DREY: No, this would --

22 MR. SOBOTKA: -- next year --

23 MS. DREY: No, this would do --

24 MR. SOBOTKA: -- to clean up --

25 MS. DREY: -- just that. This would be a

1 demonstration project to show -- they were going to
2 do a demonstration project at the St. Louis Airport
3 site on the 22 acres -- the 22 acres was inadequate,
4 but they were pretending that they were going to do
5 this R&D project at the SLAPS site --

6 MR. SOBOTKA: What R&D project?

7 MS. DREY: To leave it there and put a
8 grouting curtain around it.

9 MR. SOBOTKA: I see.

10 MS. DREY: And put police cadets on top of
11 it. But I think it was to show our site -- the
12 airport site was to be a wet test and there was to be
13 a dry test somewhere else. I cannot find the
14 document that said that St. Louis would be the wet
15 field demonstration project.

16 But I think that's very desirable for our
17 case because it is a flood plain. Groundwater is
18 three feet from the surface in places there. And the
19 creek is one, if you looked at Sandy Delcoure's
20 photographs today, the creek is a residential creek,
21 and commercial as well, but, you know, it goes
22 through a lot of back yards and kids play in it all
23 the time.

24 THE FACILITATOR: Where does that leave
25 us?

1 MS. DREY: Well, I think the idea of
2 raising some questions is good. There's no question
3 the Department of Energy has spent twenty years
4 trying to convince St. Louis to leave the stuff in
5 the groundwater. Twenty years that I know of. They
6 do not want to spend five cents to dig up five cubic
7 yards. None. Isn't that right, Dave?

8 MR. MILLER: Five cents for five cubic
9 yards, we'd take it.

10 THE FACILITATOR: The deadliest
11 transportation disposal.

12 MS. DREY: Well, I mean that's what's
13 appealing about this thing is it may help us.

14 MR. SCHERZINGER: I believe that the
15 portion of the alternative technology contribution to
16 the final report should be open-ended, defining the
17 qualities of technologies in which we're looking for
18 and the fact that as they appear or are brought to
19 DOE, DOE should evaluate them for those qualities
20 which we identify such as the volume reduction, the
21 stability of the final waste form.

22 MS. DREY: The removal of --

23 THE FACILITATOR: Wait a second, I can't
24 write that fast. Volume reduction. Stability. Go
25 ahead now, Kay.

1 MS. DREY: Of the waste form.

2 MR. SCHERZINGER: The final waste form.

3 MS. DREY: And I think the removal of the
4 water from the sludge -- waste, buried waste and also
5 I think there's a control over the release of radon
6 gas and radioactive dusts. With have all three
7 radons. Very few places in the United States have
8 all three radons.

9 THE FACILITATOR: Back up one step. The
10 third one?

11 MR. MILLER: What I hear you expressing,
12 Kay, is the return of by-products of processes that
13 to be careful with whatever treatment process you
14 implement there you know what kind of dust it's going
15 to generate, what kind of waste water.

16 MS. DREY: I'm thinking of the dust. Oh,
17 well certainly --

18 MR. MILLER: And what kind of off-gasing
19 might come from it.

20 MS. DREY: Right, radioactive dust.

21 MR. MILLER: Right.

22 MS. DREY: But also I guess the experiment
23 using this Rosen -- do you want you that Rosebury
24 report? I can get another copy.

25 MR. SOBOTKA: I'll look at it later.

1 MR. SCHERZINGER: It's not only radon
2 gasses.

3 THE FACILITATOR: Well, is it covered in
4 stability?

5 MS. DREY: No, stability has been shipping
6 this stuff off-site, isn't it?

7 MR. SCHERZINGER: It would be --

8 THE FACILITATOR: If it's stable --

9 MR. MILLER: I would say it's control of
10 other emissions, I mean, including radon. There's
11 dust, there's water, there's gas.

12 MR. WESTER: There's emissions.

13 MS. DREY: Air and water emissions.

14 MR. SCHERZINGER: Just emissions.

15 MS. DREY: I think air and water.

16 MR. SCHERZINGER: Contaminated emissions.

17 MS. DREY: To air and water.

18 THE FACILITATOR: Okay.

19 THE CHAIRPERSON: We're going to have to
20 nail down those for the report. You're talking about
21 dust --

22 MS. DREY: Three radons.

23 THE FACILITATOR: Okay. Plus the three
24 radons. What other characteristics would be
25 desirable and don't just think -- I would encourage

1 you not to just think about this technology that
2 we're focusing on, although that's a that good
3 starting point, but what other characteristics might
4 be desirable.

5 THE CHAIRPERSON: Under one you would want
6 an (a) and a (b). You would want cost reduction due
7 to volume reduction and then preservation of national
8 depository.

9 THE FACILITATOR: Responsible use of the
10 disposal capacity.

11 THE CHAIRPERSON: Yes.

12 THE FACILITATOR: Okay. So (a) would be
13 cost reductions; (b) about cost savings and then
14 responsible use disposal capacity.

15 MR. SCHERZINGER: Put limited disposal
16 capacity.

17 THE FACILITATOR: Limited disposal
18 capacity.

19 MS. DREY: One of the things that appeals
20 to me in this vitrification proposal is that there
21 would be an effort to protect the workers and
22 off-site people using this plastic thing.

23 THE FACILITATOR: The tent?

24 MS. DREY: The tent.

25 THE FACILITATOR: The cover that would be

1 used during the excavation process, isn't that what
2 you're talking about? Isn't that a fairly -- isn't
3 that something we discussed as being a rather
4 standard approach --

5 MS. DREY: It wasn't done at Weldon Spring.

6 THE FACILITATOR: It's not associated
7 specifically with vitrification; it's associated with
8 excavation.

9 MR. BINZ: We've talked about it before as
10 engineer controls I believe, Jim.

11 MR. WESTER: Yeah.

12 MS. PETERFREUND: Well, that's a good
13 phrase to put up there. Engineering controls.

14 MR. MILLER: Engineering controls is
15 probably a good thing to look at.

16 THE FACILITATOR: Okay. And why don't we
17 in order to make it easy for us to generate helpful
18 guidance here, why don't we illustrate what
19 engineering controls might be with a variety of
20 them.

21 MS. PETERFREUND: The Springform.

22 THE FACILITATOR: The Springform.

23 MR. BINZ: I think it's pronounced Sprung,
24 Sprung Instant Structures. S-P-R-U-N-G, is a
25 vendor's name.

1 THE FACILITATOR: Sprungform.

2 MR. BINZ: Artificial barrier.

3 MS. DREY: Frozen barrier.

4 MR. BINZ: Barrier or curtain.

5 MR. WESTER: Artificial frozen barrier.

6 THE FACILITATOR: I know I can only do it
7 with one of you speaking at a time, I'm quite sure
8 the reporter who is trying to do it in words can only
9 take care of one of you at a time. So artificial
10 barriers.

11 MR. WESTER: Frozen barriers.

12 MR. SCHERZINGER: Put artificial
13 impermanent barrier.

14 MR. WESTER: Artificial frozen barrier.

15 THE FACILITATOR: Okay. You're all going
16 to get a chance at this.

17 MS. DREY: Sides and bottom both.

18 MR. MILLER: Where frozen is, I'd say
19 frozen is just one type of barrier.

20 THE FACILITATOR: I'll hang it out there so
21 you can attack it or modify it or shape it or add to
22 it.

23 MR. MILLER: I'd say artificial barrier
24 actually.

25 MR. WESTER: Because there's others too.

1 THE FACILITATOR: Okay. So artificial --
2 yes?

3 MS. BUNTON: I just found out I can speak
4 at this meeting.

5 THE FACILITATOR: You've been biting your
6 tongue all this time?

7 MS. BUNTON: I have, yes. Is a quality one
8 that would return it to Greenfield standards?

9 MS. DREY: Standards? Is that what you're
10 talking about?

11 MS. BUNTON: Uh-huh. Is that a quality --

12 THE FACILITATOR: I think that's the
13 overriding objective although not in every case.

14 MS. DREY: Well, it should be included.

15 THE FACILITATOR: Well, it's not a
16 technology. The point is that's the overall
17 objective to be expressed --

18 MR. BINZ: It's a goal.

19 MS. PETERFREUND: It's a goal, yeah.

20 MR. WESTER: It's a performance standard
21 for the technology.

22 THE FACILITATOR: And what we're focusing
23 on here is what technologies or what qualities of
24 technological approaches might help us achieve our
25 broad goals. So I think that maybe --

1 MR. SOBOTKA: This is not limited to the
2 five-fifteen or Greenfield standards, right?

3 MR. GRANT: No.

4 THE FACILITATOR: In fact, we have -- I'm
5 sorry.

6 MR. SOBOTKA: One might find that the
7 technology lends itself to producing extremes of
8 output that can be used for certain locations that do
9 not meet five-fifteen.

10 MS. DREY: Like what?

11 MR. SOBOTKA: Let's say the airport expands
12 and they want a lot of dirt under their runway.

13 MS. DREY: Oh, yes.

14 MR. SOBOTKA: And they're creating a --

15 MS. DREY: Artificial reuse they call it.

16 MR. SOBOTKA: Yeah, I'm just pulling
17 something now out of my pocket.

18 MR. SCHERZINGER: Industrial use scenario.

19 MR. SOBOTKA: Industrial use. And you
20 might find that you have this stream being produced
21 so you may decide that 50 is -- there's a lot of use
22 for 50 locally and you've got it.

23 THE FACILITATOR: So would that be an
24 objective of ours, though.

25 MS. PETERFREUND: To meet the performance

1 MR. WESTER: And then you'd go and actually
2 leave them with a report of a/positive nature.

3 THE FACILITATOR: /Focus on the ones that we
4 really believe --

5 MR. WESTER: Right.

6 THE FACILITATOR: -- ought to be pursued.

7 MR. WESTER: Don't confuse them with two
8 lists.

9 MS. PETERFREUND: Right.

10 THE FACILITATOR: Kay?

11 MS. DREY: You said transportation.

12 THE CHAIRPERSON: Isn't there a good and a
13 bad list, though?

14 MR. WESTER: But the bad list is being put
15 aside in the opening statement by saying, for
16 example, use of chelating agents in the soil --

17 MS. DREY: Transportation, is that what you
18 said --

19 MR. WESTER: -- has been eliminated because
20 --

21 MS. DREY: Well, I think it should say
22 transportation.

23 MR. SCHERZINGER: We projected one --

24 MR. WESTER: Use the list for whatever you
25 want but don't make it a list. Make it a narrative.

1 MR. SCHERZINGER: But these are qualities
2 we're looking for --

3 MS. STEWARD: That's not the only reason
4 you'd want it in stable form.

5 MR. SCHERZINGER: -- in technologies. We
6 want to leave the report open.

7 THE FACILITATOR: You don't have to get all
8 of this.

9 THE REPORTER: Okay.

10 THE FACILITATOR: The essence really is
11 what will wind up here and that's what we need to
12 get.

13 THE REPORTER: Okay, fine.

14 THE FACILITATOR: Elsa, what were you just
15 saying?

16 MS. STEWARD: I was saying that we want it
17 in stable form not just for transportation purposes.

18 MS. DREY: You said transport and disposal.

19 MS. STEWARD: For storage.

20 MS. DREY: Storage is interim, right?

21 MS. STEWARD: This stuff is all stored.
22 Disposal is storage.

23 THE FACILITATOR: You know, stability is
24 stability. So it doesn't make any difference if it's
25 stable. I don't know whether we have to go beyond

1 that --

2 MS. STEWARD: Right.

3 THE FACILITATOR: -- and illustrate the
4 many ways in which --

5 MS. STEWARD: Or the many reasons.

6 THE FACILITATOR: That's right.

7 MS. STEWARD: Or the many reasons we want
8 it stable.

9 THE FACILITATOR: If it's stable, it's
10 stable.

11 MS. STEWARD: Right.

12 MS. DREY: Yeah, but I think it should say
13 for transport and storage.

14 THE FACILITATOR: Does anybody object?

15 MS. DREY: For the safer transport and
16 storage.

17 THE FACILITATOR: Okay.

18 MR. SCHERZINGER: No, I --

19 MS. DREY: Less safe?

20 THE FACILITATOR: We'll leave it up there
21 and then we'll see what you don't like about it.

22 MR. SCHERZINGER: It's for permanence. So
23 that it can't leach into our groundwater. I mean, if
24 we can safely move it -- we could freeze it and ship
25 it in frozen blocks and let it melt.

1 THE FACILITATOR: That's storage.

2 MR. SCHERZINGER: But it's --

3 THE FACILITATOR: It's safer in its storage

4 --

5 MR. SCHERZINGER: But once it melts it's no
6 longer stable.

7 THE FACILITATOR: I see.

8 MR. SCHERZINGER: You know, to fix the
9 radionuclides and have it no longer being able to be
10 transported into our groundwater is one of the most
11 important facts.

12 MS. PETERFREUND: Do you want to say
13 stable and non-leachable?

14 MR. SCHERZINGER: Stability of final waste
15 form.

16 MS. STEWARD: I think it says all that
17 needs to be said.

18 THE FACILITATOR: That's what I was
19 thinking too.

20 THE CHAIRPERSON: I mean, there are several
21 reasons we want it --

22 MS. STEWARD: That's right.

23 THE CHAIRPERSON: -- stable in its final
24 waste form.

25 MS. STEWARD: That's right.

1 THE CHAIRPERSON: One of the ways is --

2 THE FACILITATOR: All this is irrelevant
3 once you --

4 THE CHAIRPERSON: -- due to
5 transportation.

6 THE FACILITATOR: -- once you get to the
7 issue of stability is desirable.

8 MR. MILLER: If there's a permanence in the
9 stability.

10 MS. DREY: I think we're safe in
11 transporting. To me, it's one of the main reasons I
12 like vitrification.

13 MR. SOBOTKA: But, Kay, these are qualities
14 we're looking for in technologies. And if it's
15 stable, it's stable.

16 THE CHAIRPERSON: If you put transportation
17 they may literally hose it down, freeze it, ship it
18 and have it melt. I mean, you're opening yourself up
19 to --

20 THE FACILITATOR: I bit my tongue when I
21 first thought of this, but I'll say it now, if you
22 qualify it by saying for safer transport and/or
23 storage, let's say, then you may just be inviting the
24 argument that okay it's safer to store.

25 MS. DREY: Yeah, you'd be inviting Lee

1 Sobotka to do something.

2 THE FACILITATOR: Well, you know, he
3 doesn't need an invitation. / Yes, Tom.

4 MR. SHEPHERD: I'm sure this is the same
5 for Envirocare. Our facilities are designed to take
6 the material as is in a safe way as accepted by the
7 NRC and the state of Washington and I'm sure the
8 state -- or Utah. So from our perspective that
9 technology doesn't enhance the safety of storage at I
10 think our already licensed sites. You don't change
11 our condition in terms of a better situation.

12 THE FACILITATOR: Well, in final analysis
13 you may not even be interested in buying reduction.
14 You may want to fill that hole as fast as possible.

15 MR. SHEPHERD: Sure.

16 THE FACILITATOR: But for the Task Force
17 purposes --

18 MR. SHEPHERD: Yeah. No, no.

19 THE FACILITATOR: -- you know, it's
20 desirable.

21 MR. SHEPHERD: No, I understand. I just
22 wanted to --

23 MS. DREY: Let's leave those words out.

24 MR. MILLER: Yeah, I think what Mitch is
25 saying is correct --

1 MS. DREY: I've been outvoted.

2 MR. MILLER: -- is what you want to do --

3 MS. DREY: -- so would you please scratch --

4 THE FACILITATOR: We will hear about it.

5 You'll all pay for this. Okay. Anything else that
6 you think of that would indicate a desirable
7 quality? Yes, Tom.

8 MR. BINZ: I think we need to revisit No.
9 3. I'd like to maybe incorporate the concept of
10 removal, treatment, management, disposal, something
11 of that nature related to No. 3. We need to
12 incorporate and ingrain I think more than just
13 removal aspects of water. We need to do a complete
14 management, appropriate management of water.

15 THE FACILITATOR: Well, maybe if we
16 substitute --

17 MS. DREY: But if we freeze it --

18 THE FACILITATOR: -- the word management
19 for removal, what happens then?

20 MS. DREY: We're not removing water. Oh, I
21 see what you're saying, we're removing it from the
22 transporting it.

23 THE FACILITATOR: Yes, exactly. Those were
24 your words, I thought.

25 MS. DREY: Yeah, I mean --

1 THE FACILITATOR: You know, I was taking
2 your words down when I wrote this. But what Tom is
3 suggesting is a broader --

4 MS. DREY: You're talking about the water,
5 the groundwater.

6 THE FACILITATOR: -- concept management of
7 that water not only -- no, he's not talking about
8 groundwater. He's talking --

9 MR. SCHERZINGER: Removal in management.

10 THE FACILITATOR: Right, that's what I'm
11 suggesting. If we put the word management here does
12 that cover --

13 MS. DREY: I was just thinking about
14 removal of water from the materials that we ship.

15 THE CHAIRPERSON: Doesn't that get covered
16 in No. 2 then?

17 MS. DREY: Maybe.

18 MR. SOBOTKA: If you remove the water and
19 don't vitrify, it's worse --

20 MS. DREY: Well, I don't want to remove it.

21 MR. SOBOTKA: -- for radon, for emission of
22 gasses.

23 THE FACILITATOR: I see.

24 MR. MILLER: In fact, I think there is some
25 acceptance that require a certain moisture content.

1 THE FACILITATOR:. So you can't have very
2 much, but you have must have some.

3 MR. MILLER: Right.

4 THE FACILITATOR: Let's focus on three.
5 Tom's suggestion is what's on the table. He's
6 proposing that we substitute the word management for
7 --

8 MR. MILLER: I think we can get rid of
9 three almost because we have stability of final waste
10 form and that deals with moisture content of the
11 waste form. And in four we have control of
12 emissions, including air and water, which in my mind
13 addresses by-products of the process that you might
14 have to deal with in the terms of the water. I think
15 it's redundant. That's my opinion.

16 MS. PETERFREUND: Isn't that going to take
17 care of the water issue that you might get when you
18 excavate or you have an open hole and you're getting
19 water filling it in, that's not -- in the engineering
20 controls emissions.

21 MR. MILLER: Then I would add that to four
22 and say management of water or something. You may be
23 right there, that there's other water that you have
24 to deal with that's not in the emission water.

25 THE FACILITATOR: Right. Actually water

1 has been a driving issue especially as we've gotten
2 closer and closer to defining our recommendations.

3 MR. MILLER: Right.

4 THE FACILITATOR: Groundwater issues
5 particularly have been perhaps the principal issue.

6 MR. SCHERZINGER: So you're going to make
7 groundwater management?

8 THE FACILITATOR: So groundwater management
9 --

10 MR. SOBOTKA: Be careful, there's surface
11 water too.

12 MR. WESTER: No, there's surface too.

13 MR. SCHERZINGER: Well, groundwater and
14 surface water.

15 MS. DREY: Why not say ground and surface
16 water.

17 MR. SCHERZINGER: Yeah, groundwater and
18 surface water.

19 MS. DREY: I think it would be helpful to
20 people. I don't see why we just have to leave out
21 words. You could put transport in No. 2.

22 THE FACILITATOR: Groundwater and surface
23 water. Okay. Anything else?

24 MR. WAGONER: Just a question. I came in
25 late and I saw a sheet that said assume 50 percent

1 reduction and cost neutrality.

2 THE FACILITATOR: These are assumptions
3 that were integrated into the analysis of the
4 process.

5 MR. WAGONER: The reason I ask that is
6 something that if I were a federal agency, I would
7 have liked to have seen your list covering something
8 about cost effectiveness. But essentially we're
9 putting that aside with those assumptions, is that --

10 THE FACILITATOR: No. What we're saying is
11 that based on the assumption, as I understand it,
12 based on the assumption of achieving volume reduction
13 of 50 percent, based on a program that addresses
14 279,000 cubic yards of material at SLAPS, which we
15 know something about, it appears that based on what
16 we think we know today the financial or the economic
17 consequence would be neutral. You would wind up --
18 and this is taking it through the entire process
19 including assumptions about transportation and
20 dispose, you wouldn't save any money.

21 MR. WAGONER: And we've agreed to that in
22 this group, have we?

23 THE FACILITATOR: No. We haven't agreed to
24 anything yet except not to include a couple of
25 words.

1 MR. MILLER: I think what he's getting at
2 is there's got to be some mention of cost neutrality
3 or cost effectiveness.

4 THE FACILITATOR: I see.

5 MS. DREY: And I think the fact that we
6 wouldn't have to pay in perpetuity for monitoring the
7 site should be listed somehow.

8 MR. GRANT: Yeah, that could come under
9 cost effectiveness.

10 MS. DREY: Yeah.

11 THE FACILITATOR: We certainly want cost
12 savings. We've done it in the context of volume
13 reduction. We thought we knew what we were talking
14 about then, maybe we weren't covering all the bases.

15 MR. WAGONER: What I heard this group say I
16 think is let's define a list of qualities that would
17 fit any technology that the DOE would look at.

18 THE FACILITATOR: That we would propose
19 that they look at.

20 MR. WAGONER: But somebody said, I
21 believe, that if something becomes available that we
22 don't know about today we ought to be able to judge
23 it against those criteria. Cost effectiveness is an
24 important item.

25 THE FACILITATOR: In many people's minds.

1 In some people's minds there are other -- I mean, I'm
2 not suggesting we shouldn't put it on the list. I'm
3 just saying that there are other issues that are far
4 more important and cost effectiveness is almost
5 irrelevant in some people's view.

6 MR. WAGONER: Not to DOE.

7 THE FACILITATOR: I know that.

8 MS. DREY: Yeah, and I think that's an
9 important point.

10 MR. SCHERZINGER: To us -- or to myself
11 volume reduction and stability of final waste form
12 has a value, a dollar value attached to it.

13 THE FACILITATOR: There is a benefit, at
14 least.

15 MR. SCHERZINGER: It's tangible in my mind.

16 THE FACILITATOR: So is there a sixth item
17 or not? I mean, back to the suggestion. Do we
18 identify as a desirable quality something having to
19 do with cost effectiveness?

20 MR. MILLER: Well, you know, if I might
21 just, you know, add to the conversation a little
22 bit. Cost-savings from volume reduction and
23 stability still don't address other costs like if
24 there's some minimal monitoring of the waste that has
25 to be done, wherever you intend to leave it, if there

1 are waste streams -- now, we might be identifying
2 these in control of emissions -- but if you have to
3 deal with particular waste stream in a certain way
4 it's going to add cost to the process. So I think
5 there is more to the cost issue than simply volume
6 reduction.

7 MS. DREY: But if you have a tent on top,
8 you're not going to have much --

9 MR. SOBOTKA: What if there's water
10 emission from the particular process that you have to
11 treat.

12 MR. SCHERZINGER: Yeah, right.

13 MR. SOBOTKA: And the treatment of that
14 water would cost money. The tent costs money.

15 THE FACILITATOR: So we're talking about an
16 integrated overview.

17 MS. PRICE: How would you manage control?

18 MR. MILLER: I think what we're doing is
19 confusing some issues, at least in my sense,
20 engineering controls can be viewed as a technical
21 thing or there's cost associated with them. Perhaps
22 if we capture cost as a category, we will be covering
23 things that we may not have covered in our other
24 ones. The way we have it right now is kind of
25 piecemeal. We have a piece of it here and a piece of

1 it there.

2 THE FACILITATOR: Give it a shot. Give us
3 some words.

4 MR. MILLER: I'd say cost competitiveness
5 with other technologies with other remedial actions
6 that meet the cleanup goals.

7 THE FACILITATOR: Okay.

8 MR. BINZ: Cost effectiveness?

9 MR. MILLER: That's what that is, right?
10 Good. Yeah, that's good.

11 THE FACILITATOR: Okay. Is that okay?

12 MR. WESTER: I heard that somewhere else.

13 MR. SOBOTKA: What's not here is the
14 potential for a technology produced analyzed and
15 perhaps processed exit streams. Multiple.

16 THE FACILITATOR: Okay. You'll have to
17 help me there.

18 MS. DREY: You said beneficial use of the
19 treatment waste?

20 MR. SOBOTKA: Well, it might be treated.
21 It just might be analyzed. It just might be
22 identified. In other words, that the process can
23 produce multiple streams of output that are analyzed
24 so you know what's there.

25 THE FACILITATOR: So do you want me to put

1 those words down?

2 MS. PETERFREUND: That would be a quality.

3 MR. MILLER: That would be a quality.

4 MS. DREY: What was that?

5 MR. SOBOTKA: That some technology might
6 just pick it all up and put it through the whole
7 process.

8 MR. SCHERZINGER: Technology would minimize
9 the necessity for the process.

10 MR. SOBOTKA: Minimize the necessity by
11 analyzing it.

12 THE FACILITATOR: The analytical issues
13 which go to the laser ablation and --

14 MR. WESTER: Mobile gamma spectroscopy.

15 THE FACILITATOR: Okay. So what is it
16 about -- I'm trying to integrate your thoughts with
17 Lee's, what is about those technologies, and you were
18 talking about it a little while ago as well, what is
19 it that we could put down in sort of a list that
20 makes them desirable.

21 MR. WESTER: Well, if you're wrestling with
22 that because it falls under volume reduction, it
23 falls under cost effectiveness but it is a separate
24 tool from what you're addressing with those issues.

25 THE FACILITATOR: So enhanced -- pardon?

1 THE CHAIRPERSON: Is it characterization
2 techniques --

3 MR. WESTER: It is.

4 THE CHAIRPERSON: -- we're talking about?

5 MR. SOBOTKA: But it's actually
6 characterization so you can exclude it.

7 MR. WESTER: Expedited characterization.

8 MR. SOBOTKA: Exclude it from the process.

9 THE CHAIRPERSON: From the process. So --

10 THE FACILITATOR: Refined --

11 MS. PETERFREUND: How about analytical
12 tools for sorting? Isn't that what you're talking
13 about.

14 MR. WESTER: Or selective processing.
15 Analytical tools for effective and selective
16 processing.

17 MR. SOBOTKA: Right.

18 THE FACILITATOR: Is that all right?

19 MS. DREY: Why effective? Why not just
20 selective?

21 MR. WESTER: Effective. I want to be
22 right, not just pick the wrong stuff. I want to pick
23 the right stuff so I want to be effective selection
24 of material to be processed.

25 THE FACILITATOR: Selection of materials --

1 MR. WESTER: Of materials for processing.

2 THE CHAIRPERSON: We're trying to minimize
3 the amount of material processed so --

4 THE FACILITATOR: Well --

5 MR. SCHERZINGER: No, we're not trying to
6 minimize --

7 THE FACILITATOR: -- not necessarily to
8 minimize it but to put it in the right spot. If it
9 has certain characteristics, you can do certain
10 things with it.

11 MR. SCHERZINGER: We're trying to optimize
12 --

13 THE FACILITATOR: If it has other
14 characteristics you may have a different end result.

15 MR. MILLER: I'm still not sure that's a
16 quality of a technology.

17 MR. WESTER: Take effective out maybe and
18 change it for optimize. Mitch just came up with a
19 good word here -- optimized selection.

20 MR. SCHERZINGER: Optimization.

21 THE FACILITATOR: Analytical tools to
22 optimize selection of materials for processing. Does
23 that help?

24 MR. BINZ: You could use analytical tools
25 to reduce the volume of material to be processed.

1 THE CHAIRPERSON: They want to discriminate
2 better and optimally minimize.

3 THE FACILITATOR: /Let's see what I've got.
4 It's analytical tools to optimize selection of
5 materials for processing is one thing.

6 THE CHAIRPERSON: No, take out the word
7 effective.

8 THE FACILITATOR: Analytical tools --

9 THE CHAIRPERSON: Is that right?

10 MS. PETERFREUND: No, it's not right. Take
11 out the word effective. It's analytical tools to
12 optimize selection of materials.

13 THE FACILITATOR: And then also to reduce
14 volume of materials to be processed. And that's
15 really one thought, it seems to me.

16 MR. WESTER: One's a cost and effect.

17 THE FACILITATOR: That's right. It is one,
18 isn't it?

19 MR. BINZ: Yes.

20 THE FACILITATOR: With this upper half do
21 we not need the section below the line; is that
22 correct?

23 MR. SCHERZINGER: Right.

24 THE FACILITATOR: We do not need it, okay.

25 THE CHAIRPERSON: Okay, I'm leaving.

1 THE FACILITATOR: What time is it? Does
2 anyone need to feed parking meters?

3 MR. MILLER: It's four o'clock.

4 THE FACILITATOR: What else? You know,
5 Jim, what do you think we're going to need beyond
6 this. Yes, Laurie.

7 MS. PETERFREUND: Can I make a suggestion,
8 because we've added lot of questions and thoughts
9 about this, this meeting on Tuesday and we can ask
10 Dr. Golden to come back in to do the kind of
11 presentation we have had here and address some of the
12 -- give a good explanation to the full Task Force so
13 when they see this list or they see the final report
14 they know what they're commenting on. You know, with
15 some sense of understanding of what they're talking
16 about.

17 THE FACILITATOR: What do you think?

18 MR. SOBOTKA: He's available?

19 THE FACILITATOR: The question is would it
20 be appropriate to ask Dr. Golden to come to the Task
21 Force meeting next Tuesday to deliver the same
22 presentation to whoever is there on Tuesday, as he
23 delivered here, so that when this list is presented
24 there's at least one illustration of something that
25 we think fits, if we think it fits.

1 MS. PETERFREUND: If you go through in the
2 report and you list out what we've eliminated and
3 what we're suggesting is something that should be
4 looked at in more detail, I think it will be very
5 difficult for the Task Force to comment on that
6 section if they haven't heard some of the detail that
7 we've been discussing for the last couple of weeks.

8 THE CHAIRPERSON: Well, seeing how his
9 company has contracted with DOE, I think we're safe
10 on avoiding any conflict there. Or are we now?

11 MR. MILLER: I'm only concerned from the
12 fact there are a lot of other companies out there
13 that are either under contract with DOE or for other
14 technologies -- I mean, we have to be careful that
15 there are other technologies that would like the same
16 opportunity.

17 MS. DREY: We could go on forever.

18 MR. MILLER: Yes. And then you're opening
19 that up. I think that they need a method for keeping
20 this moving, though, too because it's a technology
21 that offers some promise here and that could be very
22 beneficial to this site. But I do worry about those
23 --

24 MS. PETERFREUND: Well, the issue of other
25 technologies that might come forward we've now.

1 identified them as potential for DOE to look at that
2 so it's not that we would prevent them -- they've not
3 come to this group and were not identified is
4 something to be pursued in more detail. I mean, why
5 would you have somebody get up and talk about soil
6 washing.

7 MR. MILLER: I think it's rather
8 presumptive to say that we've considered all the
9 possible technologies.

10 MS. DREY: And we never will.

11 MR. MILLER: That's what I'm saying.

12 MR. SCHERZINGER: This is to be included
13 into our report to the Task Force as leaving it
14 open-ended.

15 MS. DREY: Yeah. Well, one of the reasons
16 here today -- I think the reason we're here today is
17 because the man with the County Health Department --
18 what's his name? Ric Cavanagh? -- said he didn't
19 know enough about whether -- in the technology,
20 unfortunately he didn't show up today which, you
21 know, is too bad but, you know, maybe there are other
22 people on the Task Force who feel they would like to
23 know more about this.

24 THE CHAIRPERSON: You know, don't we have a
25 report from this man?

1 THE FACILITATOR: Yes, we do.

2 THE CHAIRPERSON: And haven't we sent that
3 to everyone?

4 THE FACILITATOR: No, I don't think so.

5 THE CHAIRPERSON: You know, as much as I
6 can see it would be helpful, Laurie, I can still see
7 where it would open a door to pressure from -- I
8 mean, I realize that we need to hear some examples
9 but I think we can do that -- I didn't even see the
10 presentation.

11 MS. PETERFREUND: Well, let me go back to
12 when we were talking about soil washing and Rust
13 engineering, there were people that were
14 knowledgeable about that technology that spoke before
15 the group.

16 THE CHAIRPERSON: I was trying to remember
17 that. How did that work?

18 THE FACILITATOR: DOE had contracted with
19 the Clemson Technical Lab and Rust to test soil
20 washing for both St. Louis soils and New Jersey
21 soils.

22 MS. PETERFREUND: That's right.

23 THE FACILITATOR: And because there was
24 direct connection --

25 THE CHAIRPERSON: To us.

1 THE FACILITATOR: -- there was already a
2 contract, there was already something underway that
3 they hoped had merit here, and because it involved
4 our soils, we were invited to go take a look at it.

5 THE CHAIRPERSON: Not only that we
6 authorized \$250,000 for two years, you know, of our
7 \$15 million budget to study, as a Task Force we voted
8 and approved of that expenditure, so that's why this
9 is going to seem to some people who haven't been
10 following this like a sales pitch.

11 MS. PETERFREUND: If we can find somebody
12 else who is knowledgeable about microwave --

13 THE CHAIRPERSON: Dr. Sobotka could talk
14 for us on behalf of that technology.

15 MS. PETERFREUND: I don't think so. I mean
16 he had a lot of questions too that weren't resolved.
17 As a matter of fact, he was just asking me to have
18 Jeff call him.

19 MR. SCHERZINGER: This is a guideline to
20 DOE -- our recommendation to the Task Force for a
21 guideline to DOE. The Department of Energy acts like
22 any other rational, self-interested party. If it's
23 cheaper and it's better, they're going to buy it.

24 But as a Task Force we don't have the
25 ability to give out a contract. We can make a

1 recommendation but there are other vendors out there
2 as well that they may fit the same criteria. I think
3 that it is the Department of Energy's task to choose
4 what technology they're going to choose to reduce
5 their cost, to the reduce volume. This is our
6 recommendation to them.

7 I have no idea what a pilot scale project
8 would cost. I haven't seen or had a chance to
9 analyze the technical information on it. The
10 Department of Energy, you say, developed it. They
11 will be able to look at it and evaluate it on its own
12 merit as far as proprietary information.

13 Once they look at it and say we want to do
14 this, they'll most likely contact our department to
15 see if we'll give it our blessing. And then it will
16 go under the lawyer's name and have lawyer-client
17 confidentiality and we'd be able to maintain the
18 proprietary nature.

19 But as the Task Force, you know, I'm not
20 sure that it's up to us to tell DOE that this is how
21 you're going to spend money when we have such a small
22 budget right now.

23 MS. DREY: Well, we're asking for a bigger
24 budget.

25 MR. SCHERZINGER: Yes, we are. And once we

1 get a bigger budget then maybe it would be
2 appropriate for us to recommend technologies.

3 MS. PETERFREUND: I'm not suggesting that
4 Ric meant technology, I just suggesting that we have
5 experts present at the next Tuesday's meeting to
6 present the concept of the technology, answer any
7 questions that might come up from folks like a Lee or
8 any of the other technical people that are part of
9 the conversation.

10 MR. SCHERZINGER: I'm sure that nobody in
11 the Task Force is going to disagree with any one of
12 these seven things that we have come up with.

13 THE FACILITATOR: Well, let me suggest
14 another possible course of action. I don't know what
15 the right solution is but there were a bunch of
16 questions that were raised today, this is really the
17 forum where those things ought to be fleshed out if
18 they are going to be, and then once we have worked
19 our way through the tough questions and have gotten
20 to some sense of where we stand, then it is time to
21 make a presentation on that issue to the Task Force.

22 Before we started today it was my
23 impression, and it is a vague one, but I thought that
24 there was sufficient grasp around the table of the
25 benefits of this technology to recommend it as.

1 something specifically to be pursued.

2 THE CHAIRPERSON: Right.

3 THE FACILITATOR: /It turned out that we
4 weren't quite at that point.

5 MS. DREY: I'm not sure that's true.

6 THE FACILITATOR: Well, I thought there
7 were a half dozen unanswered questions.

8 MS. DREY: You'll always have unanswered --
9 my father taught me that even a turtle can't go
10 anyplace until he sticks his neck out.

11 MR. WESTER: I thought that your follow
12 through to your list was the fact that here are some
13 technologies that we have reviewed which are the
14 positive list --

15 MR. SCHERZINGER: No, I have no problem
16 with that.

17 THE FACILITATOR: Maybe I missed
18 something.

19 MR. WESTER: -- for presentation to the
20 full Task Force for consideration to be offered to
21 DOE to follow.

22 MR. SCHERZINGER: Well, I have no objection
23 with saying --

24 THE FACILITATOR: I missed that.

25 MR. SCHERZINGER: -- you know, that ...

1 vitrification looks like it could fulfill all these
2 requirements and would recommend that you evaluate
3 it.

4 MR. WESTER: Right.

5 MS. PETERFREUND: But don't we want to give
6 the Task Force a little bit more meat behind that.

7 MS. DREY: I think the Task Force should
8 have some and I think it may help pass my motion.

9 MR. SCHERZINGER: But we're having to call
10 extra meetings right now because we can't get the
11 work that we need to get accomplished, accomplished
12 without bringing outside speakers.

13 MS. PETERFREUND: Well, we're having John
14 Lark in to talk about Coldwater Creek. I don't care
15 whether it's Dr. Golden or not but somebody who is
16 knowledgeable about microwave technologies who can
17 present an overview of how this works.

18 MR. SCHERZINGER: Right.

19 MS. PETERFREUND: And how it meets that set
20 of criteria.

21 MR. SCHERZINGER: I have to apologize, I've
22 exceeded my bounds, I don't sit on the Task Force.

23 MS. PETERFREUND: I don't either.

24 MR. GRANT: Well, I want to make a
25 comment. If we were going to the Task Force and

1 saying you got to vote up or down now on whether we
2 use microwave technology, vitrification technology,
3 then I think it's very important that they get a full
4 dose of what it is and understand all the details.
5 At this point we're not going to go forward to them
6 and say no or yes, we're going to go to them and say
7 based on some criteria we've developed we believe
8 this technology potentially has merit and ought to be
9 followed up on, there's some questions that have to
10 be answered and some reasonable program ought to be
11 developed to answer those questions. And so I think
12 on that basis I don't know that it's necessary that
13 everybody get a primer on the technology. That could
14 come at a --

15 MS. DREY: I don't think it can be in our
16 Task Force report at this point because not enough
17 people in the Task Force have heard what this is all
18 about.

19 MR. GRANT: Yeah, but we're going to make a
20 proposal, or a report and a proposal to the Task
21 Force.

22 MS. DREY: That will include a description
23 of this?

24 MR. GRANT: That this is a technology that
25 we've identified as having promise and it ought to be

1 pursued to determine -- and where we've defined some
2 criteria, some concepts here we have that are
3 positive, we need to pursue it to make sure it really
4 meets these criteria over the long run. Tom?

5 MR. BINZ: I think there are people ahead
6 of me.

7 THE FACILITATOR: Well, actually I defer to
8 the chair and then to Molly and then to you. Sally.

9 THE CHAIRPERSON: My only comment, whenever
10 we have these times where we're not sure should we
11 move left or right or stay where we're at, I think
12 back to what we've done in the past, and that may not
13 necessary, but in the case of Dawn and Envirocare we,
14 as a working group, alternative sites, decided to
15 flesh out the facts of each of those potential
16 opportunities in the working group in special
17 sessions because we hadn't been meeting for
18 approximately a year and then report to the Task
19 Force. And I think that's where these sorts of
20 presentations have -- we try to deal with them on a
21 smaller basis.

22 MS. DREY: Yeah, but I don't think that was
23 good, Sally. I've always been sorry that the full
24 Task Force didn't hear those presentations. I think
25 they would have learned a lot. And especially

1 we want to ask for it to be done because I don't
2 think we're capable, some of us at least, are capable
3 of doing that.

4 MR. SCHERZINGER: It's perfectly --

5 MS. DREY: And it has promise. I really
6 like that word.

7 THE FACILITATOR: Tom Shepherd has been
8 biting his tongue for a while.

9 MR. SHEPHERD: As an observer it seems to
10 me this group has evaluated a range of technologies
11 and you've established a set of criteria on which
12 you've judged them. It seems to me at least what we
13 could consider for this next meeting is, in fact,
14 describing that list of technologies you've evaluated
15 and compare them against the criteria that you've
16 used and, in fact, let the people see your decision
17 about which ones you've retained as promising and
18 which ones you've rejected.

19 And in that way it wouldn't be just soil
20 vitrification or soil washing, you could describe
21 everything you've done and the basis on which you
22 have made your decisions and then let the Task Force
23 -- I think that would be a way to let the Task Force
24 see everything you've done without necessarily
25 focusing on one or the other.

1 I mean, there's a range of things and it
2 seems to me that might be one way to overcome
3 whatever stumbling blocks you have here as well as
4 get the information that you've generated in here to
5 the Task Force at large.

6 MR. RODEN: First of all, I want to tell
7 you, Kay, Ric Cavanagh had to go to Jefferson City
8 for a Department of Health meeting, that's why he's
9 not here this afternoon.

10 But, secondly, I just wanted to -- I kind
11 of feel like -- I think we do need some primer, some
12 primer or primer, on some of this vitrification. I
13 don't think that the total Task Force is going to be
14 up to par, even when we mention the term, to be able
15 to evaluate that whole process without some kind of
16 information.

17 And I don't particularly care whether --
18 you know, we have some reservation about who that
19 might be, I would think that even a representative
20 from the Department of Energy, maybe even from Rocky
21 Flats, as far I'm concerned, at least be available to
22 our meeting.

23 MS. DREY: The problem is just the delay.
24 You know, which is what the DOE has been trying to do
25 all these years.

1 should make a fifteen minute performance.

2 MR. SCHERZINGER: That's one quarter of our
3 --

4 MS. DREY: All we have to do is vote on my
5 motion.

6 MS. PETERFREUND: That was the primary
7 reason for holding a special meeting was to deal with
8 the technology issue.

9 MR. WESTER: Get it up to speed.

10 THE FACILITATOR: Before the day was over
11 there were four agenda items.

12 MS. PETERFREUND: Right.

13 THE FACILITATOR: One of which was the
14 Technologies Working Group report.

15 MS. PETERFREUND: And John Lark. I mean
16 that's a technologies issue as far as I'm concerned.
17 And Kay's motion. What was the fourth?

18 THE FACILITATOR: I don't remember.

19 MR. SCHERZINGER: If we had time -- I
20 enjoyed the presentations.

21 MS. DREY: A ten year plan.

22 MR. SCHERZINGER: No. It's that people
23 would like to -- I have no opposition to it. You
24 know, we're up against the wall as far as the
25 deadline is concerned and to bring in outside

1 THE FACILITATOR: In fact, the county has
2 been the host for every one of these, or virtually
3 all of these working group meetings.

4 MS. DREY: I don't think that's what she's
5 trying to say. She's saying there are some questions
6 that have been raised, as we had questions about the
7 Riverfront Trail, we had questions about
8 vitrification. I do not think -- I mean I wrote down
9 that that we have studies of this technology as
10 promised and then, I don't know, maybe I fudged on
11 this a bit, and I said we would like to recommend to
12 the DOE for its consideration. But I think the word
13 promise -- and I don't think we should vote on
14 anything about this technology. I'm not capable.

15 MR. SCHERZINGER: I would like to request
16 that DOE evaluate.

17 MS. DREY: Okay. We would like to request
18 that the DOE evaluate it. Is that what you're
19 saying?

20 THE FACILITATOR: David Wagoner had his
21 hand up a long time ago.

22 MR. WAGONER: I'd like to make a comment
23 from my past instead of my present. I was the
24 division director of the Waste Management Division of
25 the EPA, the way the record and decision process goes

1 will provide, as Jim says, plenty of opportunity to
2 evaluate technology. You don't have to decide on a
3 technology. In fact, there will be design studies
4 and those kinds of things around any technology that
5 isn't kind of state-of-the-art, and I don't think
6 vitrification is, so I think it could be -- I think
7 you are right there's plenty of time to consider this
8 kind of a technology and if you went ahead and put
9 something in like Kay is suggesting, I mean, you
10 suggest and it'll be considered. And that can be
11 developed in the record of decision --

12 MS. PETERFREUND: I don't think anybody is
13 arguing with that. I think that that's what this
14 group wants to come forth as a statement but what
15 we're talking about I think is how much information,
16 how much background information we want to share with
17 the folks as a Task Force and community about why we
18 thought this was promising.

19 MS. DREY: I decided not to raise my motion
20 this morning because I heard that Ric Cavanagh wanted
21 to learn more about this.

22 MR. MILLER: It would be nice to also get,
23 I think, the information that Mitch has requested to
24 us and I don't quite understand why he can present it
25 to the Task Force, you know, in the next meeting and

1 we don't have it here.

2 MR. WESTER: I don't know that there is
3 anything --

4 MS. PETERFREUND: Yes, the concept and how
5 the process works. What Mitch is asking for is some
6 very specific numbers on what was actually done at
7 DOE and I don't think that the Task Force would
8 care.

9 MR. MILLER: Well, but that's how threshold
10 issues move to the Task Force is to get that rigor of
11 examination at this level and then they move from
12 this level to the Task Force level. And I hear they
13 haven't gotten that here.

14 MS. DREY: Well, you know, I guess my
15 feeling is, speaking of my motion, I think next week
16 is an important time because Jim is going to start
17 writing his report. I think he needs to know from us
18 --

19 THE FACILITATOR: Your report.

20 MS. DREY: I offered to wordsmith.

21 THE FACILITATOR: No, it's your report.
22 I'm serious about that. It's not my report.

23 MS. DREY: Well, I think you may want to
24 put a committee together to help you with it. But at
25 this point I think it's extremely important for us to

1 evaluate whether we think -- and my proposed motion
2 is that the airport should be considered the primary
3 site, but when I heard Ric Cavanagh couldn't vote on
4 that because he didn't know enough about this
5 potential technology, I mean -- it doesn't do any
6 good to say we want to clean up the airport site if
7 we don't -- even if there's way to do it.

8 MR. MILLER: Will he know anything more as
9 a result of this presentation --

10 MS. DREY: I learned.

11 MR. MILLER: -- that the information that
12 Mitch is asking for is really the kind of information
13 you need to make a decision, a remedial decision,
14 about whether a technology is ready to go to pilot or
15 field or to actually be implemented?

16 MS. PETERFREUND: But all we're saying as
17 the Task Force is this has promise and the DOE should
18 look at it. And we're just saying to the Task Force
19 just give them a little bit more background
20 information on what microwave vitrification is.

21 MS. DREY: Were we saying airport site here
22 or St. Louis site? St. Louis site means all kinds of
23 -- I was thinking in terms of the airport site.

24 MR. MILLER: I think that offers
25 opportunity --

1 laser ablation and gamma ray spectroscopy. Something
2 along the lines of the Technology Working Group --

3 MS. DREY: But you're listing monitoring
4 and technologies and treatment technologies. I don't
5 think we need to take on both.

6 THE FACILITATOR: They're a package.

7 MR. WESTER: They're a package.

8 MS. DREY: Isn't that monitoring, though?

9 MR. WESTER: No.

10 MS. DREY: As a part of this thing it
11 isn't?

12 MR. WESTER: Analytical.

13 MR. MILLER: Characterization.

14 MS. DREY: Well, it's sampling and analyses
15 and so forth, okay. I call that monitoring. I think
16 to do that might make people think it's way beyond
17 them. Laser ablation, it sounds Jewish if want my
18 opinion.

19 THE FACILITATOR: Oh, my goodness.

20 MR. WESTER: I won't say a word.

21 MS. DREY: Laser ablation is a Jewish term,
22 I'm sure.

23 MS. PETERFREUND: Call it LAN technology
24 then.

25 THE FACILITATOR: I don't know how anybody

1 else feels but I'd like to try and get this wrapped
2 up so we can get on with life.

3 MR. SCHERZINGER: Something along the line
4 of the Technology Working Group believes that there
5 are technologies which show promise for application
6 at the St. Louis sites and request that the DOE
7 evaluate --

8 THE FACILITATOR: Them?

9 MR. SCHERZINGER: Them. These include but
10 are not limited to microwave vitrification, laser
11 ablation, and gamma ray spectroscopy.

12 MS. DREY: See, those last two are not
13 treatment technologies.

14 MR. WESTER: Nowhere does it say it's
15 treatment, does it?

16 MS. DREY: Well, they're apples and
17 oranges.

18 MR. WESTER: No.

19 MS. DREY: And my feeling is if you're
20 going to list a technology, you're only listing one.

21 MR. WESTER: No.

22 MR. GRANT: Yeah, we've focused on
23 treatment technology --

24 MS. DREY: Yeah..

25 MR. GRANT: -- soil washing, vitrification

1 but we also haven't ruled out characterizations that
2 --

3 THE FACILITATOR: You know, it's funny,
4 it's ironic, because at one point early in the game
5 we said we weren't going to pay much attention to
6 characterization.

7 MR. GRANT: We did say that but I think
8 it's part of the whole package.

9 THE FACILITATOR: I agree with you.

10 MS. DREY: But you can characterize
11 forever, Jim, and not have --

12 MR. WESTER: You're missing two words.

13 THE CHAIRPERSON: To achieve those
14 objectives, you have to do the other thing.

15 MS. DREY: Well, let's put it in
16 parenthesis so that it shows that it's related to
17 that.

18 MR. GRANT: No, Kay, this is a different
19 type of characterization.

20 MR. WESTER: It is expedited
21 characterization to meet DOE's own approach to these
22 projects.

23 MS. DREY: But it won't clean the soil up.

24 MR. WESTER: But it helps in the volume and
25 cost containment.

1 THE FACILITATOR: Okay. Believes there are
2 technologies. Or that technologies exist. Does that
3 hold promise?

4 MS. DREY: That's better because my
5 mother-in-law used to tell me not to start with there
6 is or there are.

7 THE FACILITATOR: Okay. Believes that
8 technologies exist that hold promise --

9 MS. DREY: I'm going to jail because my car
10 has --

11 THE FACILITATOR: -- for application at the
12 St. Louis site and request that DOE evaluate them.
13 These include but are not limited to.

14 MR. WESTER: Right.

15 THE FACILITATOR: And then I would list
16 microwave vitrification, laser ablation and gamma ray
17 spectroscopy.

18 MR. WESTER: Laser ablation slash
19 nebulization.

20 THE FACILITATOR: Slash nebulization.
21 That's new. You didn't have that when you were --

22 MR. WESTER: Oh yes, it's been there all
23 along.

24 MS. PETERFREUND: That's the "N" in LAN.

25 MR. WESTER: LAN spectroscopy. And the

1 other one is mobile gamma spectroscopy.

2 THE FACILITATOR: Look, I feel really
3 accomplished just having, first of all, learned that
4 these words exist and learning to spell them and now
5 having learned how to say them.

6 I think we can pull something together that
7 will deal with this on paper. Now, the question is
8 what do you in terms -- or are we doing anything in
9 terms of a presentation?

10 MR. WESTER: No, you don't have to. I
11 think you've done the job.

12 THE FACILITATOR: Okay, great.

13 THE CHAIRPERSON: I'm not clear on what you
14 mean. We don't need to talk about this, do you
15 mean?

16 MR. WESTER: Yes you can, anyway that you
17 want, but in terms of preparing so that it's a formal
18 presentation beyond the Task Force making the
19 statement and presenting it -- or the working group
20 making the statement to the Task Force, what else has
21 been done in any other of the groups, isn't that the
22 way they come out?

23 THE CHAIRPERSON: It's always this way.

24 MR. WESTER: Yeah.

25 THE FACILITATOR: Generally what happens,

1 and this I think goes to what you were talking about
2 before, Molly, generally the nuts and bolts work, the
3 give and take, the identification of unanswered
4 questions, the filling of those voids, et cetera, all
5 takes place in whatever is the appropriate working
6 group so that there is adequate time in a smaller
7 forum for details to be really understood.

8 And then once that has occurred, a report
9 is developed and that is presented to the Task Force
10 in advance of the meeting with plenty of time to
11 absorb and to then discuss it.

12 The practical impact has been that we have
13 gotten through a process effectively, we have reached
14 conclusions that have been adopted by vote, formal
15 vote of the Task Force, that we would otherwise still
16 be debating if we hadn't done it that way.

17 MS. BUNTON: I appreciate that. My goal as
18 a matter of fact was not to make Mr. Grant faint or
19 to offend Mallinckrodt because I was trying to bring
20 up was what I saw this morning with the trail and how
21 it occurred and that the county -- because I
22 represent the county -- not be given short shrift in
23 anything.

24 THE CHAIRPERSON: You know, I really think
25 that you and I should talk because the county hasn't

1 been very active at our meetings. The city has
2 somebody at our meetings, all of our working group
3 meetings, all the time. And it really isn't -- we
4 have the airport representative, Jan Titus, speaks
5 for the city.

6 MR. SCHERZINGER: We also have a lot of
7 concerned citizens from the county that are active
8 members.

9 MR. GRANT: We've been through a process
10 where in the beginning all of the areas that were
11 thought about being treated as part of the money
12 that's being spent, everybody had an opportunity to
13 lay on the table all those things, went through a
14 prioritization process through the priorities
15 committee, came back to the Task Group, was all voted
16 on, and it's all gone through a long, formal
17 process.

18 And it bothers me to hear that somehow that
19 Mallinckrodt is being accused of manipulating things
20 and getting all the money to come down to
21 Mallinckrodt. Yes, we've had our plans and programs
22 thrown out there. But I haven't added up the costs I
23 think there's as much or more monies earmarked and
24 spent out in the county area than downtown.

25 THE FACILITATOR: Well, in fact, when the

1 Task Force put together its fiscal year '96-'97
2 recommendations there was a conscience stated effort
3 to balance the recommendations so that the benefits
4 would flow in some sensible way evenly across the
5 spectrum.

6 THE CHAIRPERSON: I am a citizen of the
7 county and I'm simply a representative of citizens.

8 MS. BUNTON: I think that's great.

9 THE CHAIRPERSON: But I championed that
10 particular issue within the working group when it
11 came to the Riverfront Trails issue, and I didn't do
12 it in a sense that I disagreed with the trail, I
13 actually think the trail is a wonderful thing --

14 MS. BUNTON: I do too.

15 THE CHAIRPERSON: -- for the metropolitan
16 area, the bi-state area because of the Chain of Rocks
17 bridge into Illinois and all that, so the whole
18 picture -- and I realize you're new to this, but
19 there's been so much background and we have piles of
20 papers if you want to trace back and see how it all
21 unfolded, but I brought up that issue because on
22 paper -- and somewhere there is a flip chart that
23 shows 2.9 million was left and nine or so million
24 went downtown. And I'm all in favor of what happened
25 downtown, but I know how it happened. To a cold

1 observer they might be confused. And that's why I
2 brought it up. And so I wanted the working group to
3 consider it and to justify continued expenditures
4 downtown and in light of it.

5 And it's all in the minutes and the reasons
6 for going ahead with it are in the minutes and the
7 fact that we in absence of a trail project because at
8 that time we did not know if it could go forward
9 depending on the money, the characterization studies,
10 in absence of it going forward the money was going to
11 be spent on haul route cleanups in the county. So
12 there's been a give and take, it's not all one or the
13 other.

14 MS. BUNTON: And I am new to this
15 particular process although I worked on this for many
16 years in previous life, and it was the same issues,
17 only just different times. And I think Joe Cavato
18 was a representative that was with this group for
19 some time.

20 THE CHAIRPERSON: He was and now he's
21 gone. There's hasn't been the continuity with the
22 county that we've had with city but I don't think
23 we've been short shrifted from it.

24 MS. BUNTON: No, I didn't say that. I just
25 wanted to keep our conversation on the table because

1 it so important. If we're on the edge of doing
2 anything good, I just want to give it all the
3 conversation we can give it. And I think you would
4 appreciate that.

5 MR. GRANT: This whole committee is here
6 because I asked that it be put together so we could
7 evaluate technologies to see if there are ways of
8 saving money over the hog and haul way of doing
9 things. And I was hopeful that if we could do that
10 we could keep the cost down and be more effective in
11 getting some things done.

12 So if there are any technologies anybody
13 has out there that would be beneficial, particularly
14 for reducing the cost, let's get them on the table.

15 THE FACILITATOR: But let's hurry. I think
16 what we ought to do is wrap this up. I think we've
17 got what we need, we've got more than we need
18 actually, to try to develop a report in the next few
19 days so that we can get it out and available for
20 discussion next Tuesday. That's going to be a bear.
21 So I would like to suggest that the meeting is
22 formally adjourned and that if we want to carry on in
23 informal discussion, that's fine, but I'd like to let
24 this lady go home.

25 MR. GRANT: That's fine.

(Adjourn.)

CERTIFICATE

I hereby certify that the foregoing is an accurate and complete transcription of my shorthand notes taken at the aforesaid time and place.

Wm. H. Smith
Court Reporter

7 Aug 96
Date

145021
SL-992

00-2069

Formerly Utilized Sites Remedial Action Program (FUSRAP)

ADMINISTRATIVE RECORD

for the St. Louis Site, Missouri



U.S. Department of Energy

Property
of
ST LOUIS FUSRAP LIBRARY